

NEW YORK STATE DEPARTMENT OF ENVIRONMENTAL CONSERVATION

In the Matter of

ONONDAGA LAKE PROPOSED REMEDIAL PLAN

PUBLIC MEETING in the above matter conducted at  
the New York State Fair Grounds, Art & Home Center Bldg.  
Martha Eddy Room, on **January 12, 2005 7:00-10:00 p.m.**

MODERATOR:

**KEN LYNCH, Regional Director NYSDEC Syracuse**

ALSO PRESENT:

DALE DESNOYERS	NYSDEC Albany
BOB EDWARDS	NYSDEC, Albany
DON HESLER	NYSDEC, Albany
TIM LARSON	NYSDEC, Albany
DAVID SMITH	NYSDEC, Albany
TRACY SMITH	NYSDEC, Albany
JIM BURKE	NYSDEC, Syracuse Reg Haz Waste Engr
MARY JANE PEACHEY	NYSDEC, Syracuse, Regional Engineer
HENRI HAMEL	NYS Department of Health
ALLEN BURTON	TAMS
HELEN CHERNOFF	TAMS
MARK MOESE	TAMS
BOB MONTIONE	TAMS
KELLY ROBINSON	TAMS
DAVE SCHEUING	TAMS
MICHAEL SPERA	TAMS
JOHN SZELIGOWSKI	TAMS



Dey's Centennial Plaza • 401 S. Salina St., Suite 100 • Syracuse, New York 13202  
www.actionreporting.com • e-mail: actiondepo@aol.com  
315-428-9311 • Fax: 428-9505 • 800-515-DEPO

## INDEX TO SPEAKERS

<u>SPEAKER</u>	<u>PAGE</u>
KEN LYNCH, Regional Director	3
NICK PIRRO, County Exec	19
DALE SWEETLAND, Legislator	28
JAMES CORBETT, Legislator	30
MARLENE WARD, Liverpool Mayor	33
BOB CZAPLICKI, Spvsr Geddes	36
DEBORAH WARNER Syracuse Chamber	37
SAMUAL SAGE Atlantic States	41
CHUCKIE HOLSTEIN FOCUS	46
CLYDE OHL	50
JEFFREY FREEDMAN Ond Yacht Club	56
NICK KOCHAN Lvpool Plan Bd	60
DAVID CHAPMAN Mnt Eagle Mngmt	61
HOWARD BRAGMAN	64
LES MONOSTORY Ond Sportsmen Club	65
DR. SWIETOSLA KACZMAR SU/O'Brien	70
SHARON FULMER	72
DERETH GLANCE Citizen for Future	73
DON HUGHES Atlantic States	78
SARAH ECKEL	83
STEVE EFFLER Upstate Freshwtr	84
NANCY CIAMPI	90
PETER PEDEMONTI	90
DAVID ARNOLD Farmer	91
SHERRY MOSSOTTI Grtr Syracuse	93
TERRY BROWN O'Brien & Gere	95
LES MONOSTORY Fish Subcommittee	100
BOB NUNES EPA	104
QUESTIONS & ANSWERS	107

LYNCH

1  
2                   **DIRECTOR LYNCH:** Good afternoon everyone.  
3 Welcome to the Onondaga Lake Proposed  
4 Remedial Plan Meeting. It's certainly great  
5 to see such a strong turnout tonight in the  
6 interest that everyone has in Onondaga Lake.  
7 My name is Ken Lynch, I'm the regional  
8 director for Region 7 of the New York State  
9 Department of Environmental Conservation.

10                   Tonight's meeting is basically going to  
11 be in three phases. We're going to start  
12 off with a brief presentation showing you  
13 what is in the Proposed Plan, real short,  
14 brief discussion about the elements of the  
15 plan itself.

16                   Next we're going to go into a formal  
17 public comment time where people who want to  
18 make statements for the record can come up  
19 front and make your statements and we'll  
20 take those down.

21                   After the public statements are  
22 completed we're going to go into a question  
23 and answer period. If anyone has specific  
24 questions regarding the plan we have a lot  
25 of technical staff and experts that worked

LYNCH

on the lake here today to answer your questions.

So for those of you who know you want to speak right now we ask you to sign in in the back. Want to raise your hand Tracy. Tracy will give you a sign up card. I have some right now. As you sign up I'll take them and we'll call you in the order of signing up.

There may be many of you out there who have both a public statement to make and questions that you want answered. We ask that you make your statement at the appropriate time and then reserve your questions for the later time and we'll respond to those during the question and answer period.

We'll start with the presentation. As I stated, we're going to start with a brief overview and then go into the public comment and question period.

Cleaning up Onondaga Lake. What does that mean? I usually start my presentations on the clean up of Onondaga Lake, since it

LYNCH

1  
2 is such a complex matter and there is so  
3 many issues, with really defining the two  
4 major issues. The two major pollution  
5 issues impacting the lake are the wastewater  
6 treatment issues and the industrial  
7 pollution issues.

8 Many of you already know that the  
9 wastewater treatment issues are being  
10 handled by Onondaga County under an  
11 agreement signed with them back in 1998.  
12 And we're now proud to talk about the state  
13 of the art facility that we have on the  
14 lakeshore at the metro plant. We are not  
15 going to be addressing that problem tonight  
16 because we believe we're on track under the  
17 Amended Consent Judgment to address the  
18 wastewater treatment issues.

19 The focus of tonight's meeting is going  
20 to be on the industrial pollution. And  
21 specifically the Proposed Plan for cleaning  
22 up the lake bottom itself. There is  
23 industrial pollution impacting the lake from  
24 upland sites also. This plan does not  
25 address specifically cleaning up those

## LYNCH

1  
2 upland sites. It is specifically geared  
3 toward cleaning up the lake bottom and the  
4 sediments and the impact that the  
5 contaminants have had on the lake bottom  
6 itself. As we'll discuss a little later  
7 there is a tie-in between upland sites and  
8 the lake bottom, but we'll discuss that  
9 briefly later on in this presentation.

10 This slide, which looks a little light  
11 but you might be able to see it. In your  
12 handouts, and I did not mention that we do  
13 have handouts on this presentation so you  
14 can follow along if you can't see the  
15 screen, bring the document home and look  
16 through it yourself on some of the details.

17 But basically this is a map of the lake  
18 itself. And in the middle of the lake we  
19 show the lake bottom. That's what we're  
20 going to be talking about tonight. Around  
21 this lake the several dots you see there are  
22 various sub-sites of the Onondaga Lake  
23 hazardous waste site. These are sites that  
24 have already been determined to have  
25 impacted the lake through discharges of

LYNCH

1 industrial waste. Again, those sites aren't  
2 specifically addressed in the plan we're  
3 going to talk about tonight. We're talking  
4 about the lake bottom.  
5

6 There is a process that both the state  
7 and the federal government follow in  
8 cleaning up industrial waste or hazardous  
9 waste pollution. It starts with the  
10 remedial investigation. Basically this is  
11 an assessment of the site, a lot of testing,  
12 a lot of monitoring to determine the extent  
13 of contamination, in this case in the lake  
14 bottom.

15 After you know what's there you go into  
16 the next step and that's the Feasibility  
17 Study. And basically what a Feasibility  
18 Study is is an assessment of all the  
19 alternatives or range of alternatives to  
20 clean up those contaminants.

21 The next step is the Proposed Plan. And  
22 that's what we're talking about tonight.  
23 After all the alternatives are laid out the  
24 state, as the lead agency in this case,  
25 assesses those alternatives, looks at

LYNCH

various options and comes up with a proposed plan to present to the public.

Once that plan is proposed we step into our public comment period, in this case for Onondaga Lake. It started on November 29th and will run until March 1st.

Onondaga Lake is somewhat of a unique site in that it is both a state and federal Superfund site. Because it is also a federal Superfund site the Environmental Protection Agency is also reviewing the Proposed Plan, and they have a process for determining or reviewing the state's proposed final remedy.

Part of that process is an internal review process within the EPA called the National Remedy Review Board. And that evaluation will be taken -- undertaken by the EPA during the month of February.

Continuing on with the Superfund process, once we finish our public comment period and get all the comments on the Proposed Plan we issue what we call a Record Of Decision or the selected remedy, the



LYNCH

1  
2 final remedy, the remedy that the state  
3 believes should be implemented to clean up  
4 the lake. And in this case for Onondaga  
5 Lake by court order that remedy is due on  
6 April 1st of 2005.

7 Once the remedy is determined we  
8 anticipate that the design of this proposed  
9 clean up will take approximately three  
10 years. It's a complex extensive clean up  
11 project and there is a lot of planning and  
12 design to go into this Proposed Plan.

13 Once the project is designed we start  
14 the construction phase. And we're  
15 anticipating four years for the entire clean  
16 up activity to be undertaken.

17 Back to the first step. Just want to  
18 review a little bit what we found when we  
19 did the investigation of Onondaga Lake.  
20 There is an extensive investigation  
21 undertaken in various years, some by  
22 Honeywell, some by our Department, all with  
23 the oversight of our Department and the EPA.  
24 More than 6,000 samples were taken from the  
25 lake or around the lake. We did a human

## LYNCH

1 health risk assessment and ecological risk  
2 assessment as part of that investigation.  
3 And in real general terms what we found was  
4 that most of the contamination in Onondaga  
5 Lake is found in the southern portion or the  
6 portion located nearest to the southwest  
7 shore where most of the Allied or Honeywell  
8 activities took place, and much of other  
9 industrial activities took place.  
10

11 There is mercury contamination through-  
12 out the lake. Again, most of that mercury  
13 contamination either being in the  
14 southwestern portion or at the mouth of Nine  
15 Mile Creek. We found other contaminants in  
16 the lake like benzenes, chlorinated benzenes  
17 and other contaminants. In some cases, in  
18 one area in particular, called the In-Lake  
19 Deposit Area, the deposits and contaminants  
20 reached levels up to 25 feet.

21 Once that investigation was completed  
22 Honeywell prepared a Feasibility Study with  
23 Department oversight. They evaluated some  
24 14 alternatives to clean up the lake. They  
25 looked at alternatives ranging from doing

## LYNCH

1  
2 nothing, to spending no dollars on the clean  
3 up of the lake, to doing an awful lot of  
4 sediment removal and capping to an extent of  
5 addressing 2,300 acres in the lake at an  
6 estimated cost of \$2.1 billion.

7 As part of that Feasibility Study  
8 Honeywell identified their preferred remedy.  
9 And that is proposed dredging of half a  
10 million cubic yards and capping of 356 acres  
11 in the lake, at a cost of \$243 million.

12 Once the alternatives were assessed the  
13 state began its process of reviewing those  
14 alternatives and determining what they felt  
15 was the best Proposed Plan for cleaning up  
16 the lake. And that's what we're presenting  
17 tonight.

18 One of the steps in coming up with this  
19 plan was to establish goals. And those  
20 goals are outlined here.

21 Number 1 is to achieve sediment  
22 concentrations that are protective of fish  
23 and wildlife.

24 Number 2 is to achieve concentrations in  
25 fish tissue that are protective of humans

LYNCH

and wildlife that consume the fish.

And Number 3 is to achieve water quality standards.

Basically what we did in assessing the lake clean up, and it was also done by Honeywell in the Feasibility Study, was to break the lake into eight sections. And based on the contamination we knew of in those eight sections determine a remedial plan.

We determined that we would remediate all areas of the lake where the surface sediments exceeded our clean up levels.

That then resulted in an estimated proposed dredging of 2.7 million cubic yards and a capping of over 579 acres in the lake.

Where do those sediments go once we dredge them? The most highly contaminated sediments are proposed to be taken off-site to a permitted DEC or out of state facility. Other sediments that are less contaminated will go, are currently proposed to go to one of the Honeywell Solvay wastebeds.

LYNCH

1  
2 A unique aspect of this plan is  
3 Honeywell is proposing to perform a pilot  
4 study to oxygenate the deep areas of the  
5 lake. And in an attempt to prevent mercury  
6 methylation or the mercury seeping into the  
7 water column in the lake. That will be  
8 conducted and monitored by the department.  
9 If effective we will authorize a larger  
10 scale project.

11 The plan also includes habitat restor-  
12 ation or repairing the damage you cause when  
13 you dredge. And habitat enhancement, doing  
14 more than what exists there today, adding to  
15 the habitat in and around the lake.

16 It's important to note that the plan  
17 also includes a long term monitoring of the  
18 water quality, the capping of the lake, fish  
19 tissue and other things related to the clean  
20 up of the lake. So once the construction  
21 activity is done the responsible party  
22 doesn't walk away, they have a long term  
23 obligation to monitor the effectiveness of  
24 this plan. And the estimated present worth  
25 of our Proposed Plan is \$450 million.

LYNCH

1  
2           This slide, and I'm sorry you don't have  
3           it in color in your handouts but it's a  
4           pretty good overview of how the lake is  
5           divided into eight areas and what the  
6           Proposed Plan for those eight areas is. It  
7           shows the areas to be capped and dredged.  
8           And it shows you the different units that  
9           the lake is divided up to. There is also a  
10          chart over there depicts the same thing.  
11          And is there one in the plan itself? In the  
12          plan itself that is in line, that's one of  
13          our exhibits in there. It's a good  
14          reference to get a good oversight of what  
15          areas are going to be capped and dredged.

16                As I mentioned there is a long term  
17          monitoring plan that I think is very  
18          important to this plan. For those of you  
19          familiar with the Amended Consent Judgment,  
20          the county has established an extensive  
21          annual monitoring program to see how their  
22          proposed clean up, their addressing of the  
23          wastewater issues that's impacting water  
24          quality, and improving water quality.

25                We expect that the monitoring plan for

LYNCH

1  
2 this clean up project will be very similar,  
3 very extensive, reviewed by our scientists  
4 and others. We're going to monitor the  
5 effectiveness of all the remedy components.  
6 We're going to sample tissue in fish  
7 invertebrate, we're going to sample the  
8 surface water, the sediments, we're going to  
9 make sure the cap is working, we're going to  
10 make sure any containment area that's  
11 proposed in the wastebeds or other places is  
12 effectively working. And we're going to  
13 continue on an annual basis to make sure  
14 that this plan is working.

15 At some point during that monitoring if  
16 we find there is a problem with a cap or  
17 problem with different areas in the lake we  
18 will advise the responsible party and they  
19 will be responsible to correct those problems

20 Time frame. One of the most common  
21 questions I get about this plan is how long  
22 will it take? When is the lake going to be  
23 clean? As I previously stated we  
24 anticipate, if all goes well, that the state  
25 will issue a Record On Decision or final

LYNCH

remedy by April 1st.

Next is the anticipated design phase, which is estimated at this point for three years. Prior to starting construction of this remedial plan, prior to dredging, prior to cleaning up the lake bottom we have to be assured that the lake is no longer being impacted by upland sites. So that is one glitch in this schedule that we have to coordinate with the clean up of the lake bottom. Simply doesn't make sense to dredge the bottom of the lake where the lake is still being contaminated by upland sites.

So part of this proposal is to coordinate with the upland site cleanups so that those sites are no longer impacting the lake before you start dredging the material. And once the construction activity does start in the lake we anticipate a four year construction period.

And again, once the construction is done, the work is not done, there is an extensive monitoring program which will continue until we believe that the remedy



LYNCH

has satisfactorily worked and there is no longer a need to monitor.

That's my presentation, I told you it would be short. We want to reserve most of this time to hear from you, both in public comment form and also in a question and answer form. But if you want to get more information about this plan, we've had two availability sessions, and we had a great turnout for both of those and we had a lot of great questions. But if you want more information you can go to our website that's listed there or you can come to these mentioned facilities and see the plan itself, the hard copy and go through it.

You can also comment on the Proposed Plan. You don't have to speak tonight to get your comments in. You can write in until March 1st and you can do that via the web or via mail.

We're now going to move into our public comment period to allow people who have comments for the record to come forward and state their comments. I do have a couple

## LYNCH

1  
2 ground rules so that we can make sure that  
3 we get to everybody that wants to speak and  
4 move this in an orderly manner. First and  
5 foremost when you come to the microphone,  
6 and Dawn is going to hold the microphone and  
7 come to you, if you can come out to the  
8 aisle Dawn will meet you in the aisle for  
9 you to make your statement. State your name  
10 and spell your name for the record. We have  
11 a stenographer (court reporter) here and I  
12 know he's a good speller but he can't get  
13 all the complicated names.

14 Keep your statements short and concise  
15 so we can get to everyone please. If the  
16 previous speaker or previous speakers have  
17 made a similar point you don't have to  
18 reiterate that. Oral comments tonight are  
19 given equal weight to written comments that  
20 you send in, so don't feel the absolute need  
21 that you have to make a statement tonight,  
22 if you would rather write that you can do  
23 that and it's given equal weight.

24 We will not be responding to the  
25 comments made initially during the comment

PIRRO

1  
2 period. We're going to reserve that again  
3 for the question and answer period. So if  
4 you want to make a statement and you also  
5 have questions, please reserve those  
6 questions to the later portion of the  
7 meeting.

8 I'm going to start with the public  
9 speakers and as we traditionally do with DEC  
10 public meetings we'll start with our public  
11 officials. And the first one up is County  
12 Executive Nick Pirro.

13 **COUNTY EXECUTIVE PIRRO:** Good evening  
14 Director Lynch, members of the DEC team,  
15 ladies and gentlemen. This will be concise,  
16 I'm not sure that short. The county  
17 understands all too well the difficult task  
18 it is to develop and obtain agreement on  
19 expensive solutions to large scale, complex  
20 problems such as the industrial contami-  
21 nation in Onondaga Lake. It is always  
22 easier to be critical of such plans than to  
23 produce them. The County is aware of the  
24 level of effort that has gone into the  
25 development of the state's Proposed Clean up

PIRRO

Plan and we applaud that effort.

The ongoing effort to reclaim Onondaga Lake is substantial and widespread. The Onondaga Lake Partnership is spending millions of federal and local dollars on projects ranging from non-point pollution to habitat improvement to trail development. By the time the County is done upgrading the municipal wastewater system that discharges to the lake, the County, with substantial help from our state and federal partners, will have invested well over \$450 million on lake improvement projects. A good deal of that work is already completed. It is now time to aggressively move forward with remediation of the industrial side of the lake restoration equation. The plan proposed by the state is substantial and aggressive. It's not perfect. And there are certainly many questions that will have to be answered along the way. But it is time now to move forward without delay. The County is hopeful that the technical and public review and comment process that is

PIRRO

now underway will allow this process to move in a positive and expeditious fashion.

That said, there are a number of critical issues that the County is hopeful can be addressed as the Proposed Plan becomes refined and finalized.

First, the schedule. As the County understands it, the plan recommended by Honeywell in the most recent Feasibility Study would postpone implementation of the most substantial work in the lake until 2011. That is too long to wait. The state's Proposed Plan offers no start or completion dates. Based on what is written, work could begin as soon as next year or as late as 2011. As there is no schedule things could be delayed even beyond 2011. An implementation schedule, with start and end dates needs to be spelled out as part of the plan, and work needs to be begin sooner, much sooner than 2011.

Related to the schedule is the lack of progress and coordination to date in addressing the upland sites. I am referring

## PIRRO

1  
2 to sites like Willis Avenue, the Semet Tar  
3 Beds, Wastebed B and Harbor Brook, Wastebeds  
4 1 through 8, and the Geddes Brook/Nine Mile  
5 Creek sites. It should be readily apparent  
6 to everyone that these sites, all of which  
7 are ongoing sources of contamination to the  
8 lake, have to be addressed before  
9 implementation of a remedy in the lake  
10 itself can take place.

11 The county has consistently pointed out  
12 that all these sites should have been  
13 addressed collectively as part of a single  
14 comprehensive lake clean up plan and not as  
15 independent hazardous waste sites.

16 From an ecological standpoint, all of  
17 these sites are linked to the lake. The  
18 approach of allowing the upland and lake  
19 remedial investigation to proceed on  
20 distinct legal and separate time frames has  
21 resulted in a significant impediment to  
22 proceeding immediately with the remediation  
23 of the lake itself. The County recommends  
24 that the process to clean up these upland  
25 sites proceed as quickly as possible, so

PIRRO

1  
2 that the lake bottom clean up plan can  
3 begin, and can do so without having to rely  
4 solely on the installation of interim  
5 remedial measures at these upland sites.

6 A second issue of concern is the long-  
7 term viability and reliability of several of  
8 the measures that are proposed in the Plan.  
9 Many of the proposed measures involve  
10 containment rather than removal. All of  
11 these engineered structures will require  
12 ongoing inspection, operation and  
13 maintenance.

14 These include: 1) Groundwater cutoff  
15 walls coupled with pumping and treating  
16 contaminated groundwater intended to stop  
17 the migration of contamination into the  
18 lake.

19 2) Engineered confinement caps intended  
20 to encapsulate over 575 acres of  
21 contaminated lake bottom sediments.

22 3) Engineered confinement of the 2.6  
23 million cubic yards of contaminated dredge  
24 spoils in the proposed Sediment  
25 Consolidation Area located on Wastebed 13.

PIRRO

1  
2 4) Facilities to pump oxygen into the  
3 lower layers of the lake in an effort to  
4 inhibit the methylation of mercury released  
5 from lake bottom sediments.

6 These engineered, constructed facilities  
7 will have to work forever, and will require  
8 inspection, operation and maintenance  
9 forever. The need to monitor and maintain  
10 these sites will never go away. Can the  
11 state assure this community that Honeywell  
12 will be around forever to take care of these  
13 things? What assurance can the state and  
14 Honeywell provide to the local community  
15 that it will not inherit the financial  
16 burden of maintaining, repairing and  
17 replacing all of these facilities, 30, 40 or  
18 50 years from now? How will the final plan  
19 address this concern? The final plan must  
20 include formal legal protections, long term  
21 financial assurances or other protections  
22 that address this concern.

23 Third, institutional controls. The goal  
24 of Onondaga Lake clean up efforts is to  
25 restore the lake for the use and enjoyment



PIRRO

1  
2 of the community. Typically, institutional  
3 controls impose limitations on the use of  
4 the site or resource. Limitations on the  
5 future use of Onondaga Lake as a  
6 recreational resource to this community due  
7 to institutional controls should not be part  
8 of the remedy.

9 Fourth, there is very little information  
10 provided regarding the proposed Sediment  
11 Consolidation Area on Wastebed 13. It  
12 appears to the County, based on the limited  
13 information that has been provided, that the  
14 Sediment Consolidation Area represents a  
15 sizable ongoing challenge, and potential  
16 burden to this community in the future.

17 The potential issues include: 1) the  
18 unexplained procedure to identify and then  
19 separate hazardous materials in the lake  
20 bottom sediments from sediments that are  
21 simply contaminated during the dredging  
22 process.

23 2), the physical stability of the site.

24 3), the potential for odor problems.

25 4), management of the supernatant.

PIRRO

1  
2 5), long term operation and maintenance.  
3 And by long term it appears that this  
4 containment facility will have to be  
5 maintained forever.

6 6) and it appears that any redevelopment  
7 potential for this site will be gone for  
8 generations.

9 It is not apparent that any other  
10 alternatives for handling the dredge spoil  
11 were given full consideration. The question  
12 the County has is whether the creation of  
13 the proposed Sediment Consolidation Area is  
14 justified given these uncertainties.

15 Finally, monitoring. The topic of  
16 monitoring, in both the Feasibility Study  
17 and the Proposed Plan, is largely deferred  
18 to the design stage. While this is not  
19 unusual or necessary inappropriate, it is  
20 too important an issue to ignore during the  
21 stage of the remedy selection process.  
22 Given the complexities of the Onondaga Lake  
23 system, and the ubiquitous extent of the  
24 contamination related to the industrial  
25 sources impacting the lake system, it could

PIRRO

1  
2 be very difficult to accurately monitor  
3 change and improvements and ascribe them  
4 with confidence to the remedial measures in  
5 the Proposed Plan.

6 The community will want and deserves  
7 assurances that the remediation measures  
8 ultimately put in place are succeeding.  
9 Monitoring for this purpose should begin  
10 now, in order to assure the establishment of  
11 a reliable pre-construction or baseline data-  
12 base. Moreover, development of the post-  
13 construction monitoring program must involve  
14 the County and other appropriate  
15 stakeholders.

16 I wish to close by restating that it is  
17 not easy to develop and obtain agreement and  
18 expensive solutions to large scale, complex  
19 problems such as the industrial  
20 contamination in Onondaga Lake. The state's  
21 Proposed Clean Up Plan represents a  
22 substantial laudable effort. What we offer  
23 tonight should be viewed as constructive  
24 input to that plan.

25 DIRECTOR LYNCH: Thank you. Next

SWEETLAND

speaker is Dale Sweetland, Onondaga County  
Legislative Chairman.

**LEGISLATOR SWEETLAND:** Thank you. I'll  
be very brief, I am - since I left my office  
with the paper I had in my hand sitting on  
the desk. I am Dale Sweetland the chairman  
of the Onondaga County Legislature. And I'm  
here tonight not as an engineer, because I'm  
not, I'm not a scientist, I am a resident of  
Onondaga County. And I'm here to express to  
you the feelings of my constituents and my  
neighbors as I talked to them after this  
plan has unfolded and come about in the  
media.

Several years ago, this is my 12th year  
in the county legislature, I was in the  
legislature and chaired the drainage and  
sanitation committee when we signed the  
Amended Consent Judgment. And there is  
probably nothing that I am prouder of than  
the fact that the County is doing, with the  
help of the state and the federal  
government, doing an enormous amount of work  
to stop polluting Onondaga Lake.

## SWEETLAND

1  
2           Ever since I have been in high school or  
3 was in high school - sounded like I still  
4 am, didn't it? Ever since I was in high  
5 school I have heard about Onondaga Lake.  
6 We've all heard about Onondaga Lake. We now  
7 have a great opportunity. We are closer  
8 than we have ever been in this community to  
9 actually coming to terms with the pollution  
10 in Onondaga Lake.

11           I want to reiterate what the county  
12 executive said, and I applaud DEC and  
13 Honeywell for all the work they've done.  
14 It's taken an enormous amount of time and a  
15 lot of effort to get to this point. I would  
16 reserve any criticism of the Proposed Plan  
17 because again, I'll beg that I'm not an  
18 engineer and I'm not a scientist.

19           I would offer that people who I talked  
20 to are excited about an opportunity to see  
21 something positive happen with Onondaga  
22 Lake. It's necessary, not only for the  
23 city, the county and the Central New York  
24 region, but it's very important to have this  
25 lake come back to life and be a vital part

CORBETT

1  
2 of this community. So I want to encourage  
3 Honeywell and DEC and everyone involved to  
4 continue their hard work and really make an  
5 agreement happen and have this work come to  
6 fruition.

7 The one thing that strikes me as that in  
8 every type of these situations, as the  
9 County Executive said, nothing is perfect in  
10 this world, nothing will ever be perfect.  
11 And all I ask is that all the parties be  
12 logical, use common sense, and be reasonable  
13 in all this process so that we can have some  
14 good things happen to Onondaga Lake and the  
15 city of Syracuse and Onondaga County. Thank  
16 you.

17 DIRECTOR LYNCH: Next speaker is James  
18 Corbett, Onondaga County Legislator.

19 **LEGISLATOR CORBETT:** Thanks, Ken.  
20 C-O-R-B-E-T-T. Welcome to my area. I  
21 represent this 8th District. And I'm here  
22 to comment on one aspect of the plan, having  
23 gone over it extensively. I want to preface  
24 it saying I'm speaking as the County  
25 Legislator for this district. I have also

CORBETT

1  
2 lived for 20 years right down the road here.  
3 My house and my backyard overlook right over  
4 690 at the lake. So for 20 years I looked  
5 right at this lake every day.

6 The aspect that I would like to talk  
7 about is the pumping of the sediments from  
8 the pump station proposed to be built at  
9 Onondaga Lake to the Sediment Containment  
10 Area constructed at Wastebed 13. This is  
11 after the dredged materials have been  
12 processed. I understand that there would be  
13 approximately 4 miles of pipe from the pump  
14 station to the proposed containment settling  
15 area 13.

16 What my concern is, I've received a  
17 number of calls from constituents in this  
18 area, and if you're familiar, anyone around  
19 here, with 13, which is over off of - between  
20 Armstrong and Warners Road, there is a lot  
21 of the residential area around there. There  
22 is always a wind up there; there is always a  
23 breeze.

24 And the calls that I have received are  
25 two-fold. One is concern about the odor

CORBETT

1 control, which has been brought up at the  
2 meeting in Camillus. And also the length of  
3 the piping to come from the proposed pump  
4 station to the Wastedbed 13. It would be  
5 approximately 4 miles from what I understand,  
6 and one of the proposals is to follow  
7 Ninemile Creek.  
8

9 I think there might be another option  
10 after looking at this. We've discussed, and  
11 it was up on the screen, you can see the  
12 finger right here going out into the lake,  
13 that's Wastedbeds 1 through 8. Wastedbeds 1  
14 through 8 right now is part of, is Onondaga  
15 County land and it's also part of the  
16 parking.

17 What I have talked with some of my  
18 constituents about and I don't know if  
19 anyone from Honeywell or the DEC, what if we  
20 thought of putting that containment area  
21 right there? You have four miles less  
22 piping, you're not going through a  
23 residential area. You also have a lot less  
24 worry about odor control. You've got the  
25 lake on one side, you've got 690 down on the



WARD

1  
2 other side. Yes, it is now county property,  
3 and yes, we have a proposal for the trail  
4 around the lake there. But I would beg that  
5 this option maybe be looked at. And I would  
6 appreciate that if there is a scientific  
7 part of it, I just think that it's a real  
8 viable option. You're not going up  
9 Ninemile, you're not going through a  
10 residential area.

11 And I think in the long run it would  
12 prove to be, if it's done the way I've  
13 looked at everything, it could be turned  
14 right back into a recreational area. You  
15 could put that trail both up and down on it.  
16 And who knows, there might be a lot of uses  
17 for it down the road for maybe picnicking or  
18 a lot of other things. So I appreciate the  
19 opportunity to make this comment and I would  
20 hope you look at it. Thank you.

21 DIRECTOR LYNCH: Liverpool Mayor Marlene  
22 Ward.

23 **MAYOR WARD:** Thank you, Ken. Good  
24 evening. I appreciate the opportunity to be  
25 here this evening and to be able to comment

WARD

1  
2 and be part of this really important  
3 undertaking because it is an important issue  
4 for the village of Liverpool. As I said  
5 before I'm Marlene Ward, the mayor of the  
6 village. My husband and I are life-long  
7 relatives -- I'm sorry, residents, of the  
8 village of Liverpool. In fact my husband  
9 was born right on First Street in the  
10 village right there on the lake. And when  
11 we were coming over this evening he was  
12 talking about being a little boy and wading  
13 in the lake and being told, you can't wade  
14 in that water.

15 And as we all know, Liverpool is like a  
16 lot of other communities, it was founded on  
17 a beautiful body of water, which is Onondaga  
18 Lake. And history records over time that  
19 unfortunately it became polluted to the  
20 point that it has received national  
21 attention as one of the most polluted bodies  
22 of waters in the United States.

23 The pollution process began many years  
24 ago, and I know that I cannot and I doubt  
25 anyone here can really remember when the

## WARD

1 lake was not polluted. There is plenty of  
2 responsibility and blame to go around. The  
3 pollution was a combined result of everyone,  
4 from individuals to municipalities, to  
5 several businesses. Everyone either  
6 believed that it was not possible to pollute  
7 a body of water such as this, or else they  
8 did not care.  
9

10 The foreign material that went into this  
11 lake on a yearly basis included millions of  
12 gallons of untreated human waste, various  
13 kinds of industrial waste, including some we  
14 did not realize was hazardous or dangerous  
15 until years later.

16 Many times throughout my lifetime there  
17 has been various attempts and proposals  
18 regarding lake cleanup. Always they seem to  
19 go nowhere. I came to believe we would  
20 never see a clean lake. Through the efforts  
21 of many dedicated people we have seemed to  
22 reach a point where we have a plan and a  
23 proposal that would at long last seem to  
24 accomplish some of these goals.

25 I would like to thank everyone who

CZAPLICKI

brought us to this point and to say on behalf of the village of Liverpool, please continue to move forward with the goal of a clean Onondaga Lake, we certainly would appreciate it. Thank you.

DIRECTOR LYNCH: Are there any other elected officials who would like to speak?

**SUPERVISOR CZAPLICKI:** Hi, I'm Bob Czaplicki, supervisor of the Town of Geddes. I just want to say I've submitted some testimony for the record but I think it really is time that we move forward. I've lived in this community my entire life and know what the lake is about and I know what my constituents talk about. And they want us to stop talking and get moving.

So I know, as that the County Executive said, no plan is perfect, and we can work through this process and reasonable people can come up with reasonable explanations. But I think the time to get this lake cleaned up and to get this community moving, there is miles of shoreline that can be developed and it can be an economically

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24
- 25

1

1

On their behalf I extend our thanks to you for this hearing and the years of dedicated work you have given to the goal of cleanup of Onondaga Lake. We're delighted and encouraged that after more than a decade we're finally at a point where we are finally talking about a remedy to implement. The goal is finally in sight. You are to be congratulated for working through this herculean task.

WARNER

1  
2 I'm here tonight to tell you that we  
3 support the restoration plan you put forth.  
4 We believe and trust that all the research  
5 and study has yielded a plan worthy of  
6 implementation. We agree with Congressman  
7 James Walsh when he said, we have finally  
8 found a holistic and sterile approach to  
9 clean up this valuable community asset.

10 Our chambers includes the Onondaga  
11 County Convention and Visitors Bureau.  
12 Although we already market the lake for a  
13 range of events we're thrilled at the  
14 potential of visitors and events after the  
15 remediation is complete. Waterways are  
16 certainly a large part of our tourism  
17 marketing efforts. Currently to the naked  
18 eye the activity along the shoreline of  
19 Onondaga Lake is a fabulous asset.

20 But the question remains from our out of  
21 town visitors, why is there no activity on  
22 the water? Imagine the tourism benefits and  
23 economic development impact when we can  
24 successfully hold major fishing and boating  
25 events. When Destiny is built the value of

WARNER

1 the lake to us will be nearly inestimable.  
2 We urge final approval and implementation of  
3 this program as soon as possible. Many  
4 projects in and near Onondaga Lake are  
5 moving forward, particularly the more than  
6 \$200 million inner harbor redevelopment  
7 project we should see this year begin.  
8

9 And the faster the lake is cleaned up  
10 the more development and jobs will occur in  
11 our community. Of course we can't ignore  
12 the economic impacts of over \$400 million of  
13 over 7 years in the local economy if the  
14 project moves forward. We look forward to  
15 Honeywell being a valued member of this  
16 community for a long time.

17 I would also ask that as you work  
18 through the remediation plan you preserve  
19 development opportunities to the largest  
20 extent possible on the land that is being  
21 reclaimed. We believe that there will be  
22 strong interest and additional development  
23 adjacent to the lake, and don't want to lose  
24 out or limit this economic potential.

25 I know our members want me to give you a

WARNER

1  
2 vote of confidence in your work. The  
3 business community does not doubt the  
4 thoroughness or scientific acumen of the DEC  
5 and the EPA. We trust that you have not  
6 overlooked any aspects in the Remedial  
7 Investigation and Feasibility Study. And we  
8 trust in the monitoring programs that are  
9 part of the plan.

10 So we also speak to Honeywell tonight  
11 asking them to consent and agree and move  
12 forward with the plan DEC has proposed.

13 One last question, we hope that you'll  
14 be able to respond to as you go forward, and  
15 it's similar to a concern that the County  
16 Executive brought up. Going forward, what  
17 assurances can taxpayers in our community be  
18 given that if there is a failure in the cap  
19 or an engineering solution who's going to be  
20 held responsible for those costs? If  
21 Honeywell no longer exists, or has merged  
22 with another company who is going to be  
23 responsible for the costs in the end?

24 Onondaga Lake is a jewel for our  
25 community and the city of Syracuse. The



SAGE

lake is a resource that any city would envy. We gained a lot of notoriety as the most polluted lake in the land. Now we'll have a new reputation as an example of state-of-the-art remediation of one of the largest Superfund sites in the nation. So we look forward to the earliest implementation possible and support for the recommended plan the DEC has put forward. Thank you.

DIRECTOR LYNCH: Sam Sage, Atlantic States Legal Foundation.

**SAMUEL SAGE:** Sam Sage, the president of the Atlantic States Legal Foundation. And I'm just going to make some preliminary remarks. Atlantic States will send in detailed comments to the EPA review panel and for the record here.

Before I say anything in detail we are happy to see that something is finally going to happen. We recognize the need for dredging and capping. And we hope that things can get started as soon as possible. I would just like to talk about three or four issues quickly.

## SAGE

1  
2           The first item is that we're concerned  
3 that there needs to be a vision for the  
4 lake, a consensus vision. This is a public  
5 policy issue: What do we in this community  
6 want the lake to be like fifty or even a  
7 hundred or more years from now? At this  
8 point there is a vision that the Onondaga  
9 Nation has presented, that this is their  
10 cultural heritage, this was their life  
11 source, and their fishery, and hunting  
12 grounds.

13           We need to see as a community what the  
14 end point of a rehabilitation of the lake  
15 should be. We have to recognize that there  
16 are scientific limitations in restoring the  
17 lake to what it once was but we really need  
18 to know what it is that the lake should  
19 become.

20           Part of that, to get there, the most  
21 important thing is a sensible and thorough  
22 monitoring plan for the lake. We need to  
23 start now doing baseline monitoring, so that  
24 by the time we have this plan implemented we  
25 know where we're going. This monitoring

SAGE

1  
2 plan is going to have to be very complex in  
3 its variation, it has to dovetail with the  
4 monitoring currently being done by Onondaga  
5 County. We would recommend that there be  
6 outside scientific input into developing the  
7 monitoring plan, and hopefully be outside  
8 peer review of the monitoring plan before it  
9 takes place.

10 Another concern about the monitoring  
11 plan is its cost. The monitoring plan is  
12 estimated to be something like \$3 million a  
13 year for a minimum of 30 years, but probably  
14 more than that. That's a large sum of  
15 money. Corporations come and go, we really  
16 would like to see some fail-safe mechanism  
17 that the money will be available to do the  
18 monitoring properly. And one idea would be  
19 to collect a sum of money up front and keep  
20 it into a fund specifically for the purpose  
21 of the monitoring. The legal possibilities  
22 of doing that are the Superfund  
23 notwithstanding, I think that's something  
24 that should be investigated.

25 Part of the monitoring exercise is

SAGE

1  
2 needed in order to do some modeling of the  
3 different parameters in the lake. There was  
4 a meager effort to do a mercury model. That  
5 was shown that it wasn't going to work. But  
6 that effort was pretty half-hearted at best.  
7 To do a mercury model properly is going to  
8 take a long period of time. We need to  
9 start now getting the monitoring data that  
10 will allow us to do that monitoring.

11 Without some kind of modeling exercise we  
12 have no idea at what point we can expect to  
13 see improvements in biota, a lessening of  
14 methyl mercury in fish tissue and other  
15 things like that.

16 We also should be modeling for other  
17 parameters other than mercury. There are  
18 various organic compounds that should be  
19 modeled. And a thorough analysis should be  
20 made of what are the most reasonable  
21 parameters to that modeling exercise.

22 The next point that I think is needed to  
23 emphasize is public participation. It's  
24 very gratifying to see so many people coming  
25 to this meeting tonight. For all too many

SAGE

1  
2 years when some of us have been dealing with  
3 Onondaga Lake issues we sort of talked to  
4 ourselves. However, the Superfund process  
5 is partly to blame. We at Atlantic States  
6 audit the TAG grant agency for the  
7 Environmental Protection Agency. But even  
8 so with all our efforts getting people  
9 interested in the esoteric of the Superfund  
10 process has been difficult.

11 Also unfortunately, this hearing is the  
12 only requirement under the Superfund  
13 process. And so we are urging that a more  
14 comprehensive continuing public  
15 participation effort go hand in hand with  
16 the remediation of the lake bottom site and  
17 with the other sites. I have suggested  
18 separately to DEC that an overall matrix  
19 should be prepared for the public, showing  
20 the relationship of all the upland sites to  
21 the lake bottom sites on the dates and the  
22 conflicts and trying to hammer out, you  
23 know, what people can expect and what are  
24 the significant points at which some public  
25 comment would be desirable and necessary.

HOLSTEIN

1  
2 And I think there is some agreement to do  
3 something like that and I think that would  
4 go a long way in helping getting the public  
5 more involved.

6 Finally, the last point I would like to  
7 make is that in all the work to do the  
8 remediation we have to think of the workers  
9 who are going to be doing the work. And  
10 it's particularly important that proper  
11 hazardous management training be undertaken  
12 by all these workers and that all steps are  
13 taken to ensure their health and safety  
14 during the process. And thank you, we will  
15 submit written comments later.

16 DIRECTOR LYNCH: Thank you, Sam.  
17 Chuckie Holstein, FOCUS Greater Syracuse.

18 **CHUCKIE HOLSTEIN:** Good evening and  
19 thank you very much. I appreciate DEC being  
20 - giving us this opportunity. I'm with  
21 FOCUS Greater Syracuse. FOCUS stands for  
22 Forging Our Community's United Strength.  
23 And I'm speaking for the ordinary citizens  
24 who participated in our FOCUS visioning  
25 process in 1997 and 1998.

## HOLSTEIN

1  
2 There are over 5,000 citizens who  
3 participated in this process to share with  
4 us their dreams and their visions for our  
5 community. That was eight years ago. And  
6 that visioning process developed 15,500  
7 ideas. That's a lot of ideas. We distilled  
8 those into goals. We ended up with 87  
9 goals. Those goals were voted on in a  
10 Vision Fair in 1998, and that's what I want  
11 to talk to you about.

12 As people voted on the goals they  
13 established the preferences for what they  
14 wanted to happen first in this community.  
15 The number one goal was to build bicycle  
16 paths and hiking trails, especially along  
17 the waterways in our community, ergo  
18 Onondaga Lake.

19 The third highest goal out of 87 goals  
20 was to develop and clean Onondaga Lake. I  
21 went into that great big fat notebook this  
22 afternoon to take a look at what some of the  
23 people were saying about Onondaga Lake.  
24 After I had counted 150 times just the three  
25 words, "clean Onondaga Lake," I stopped

## HOLSTEIN

1  
2 counting, because I think at every single  
3 one of the over 200 visioning sessions  
4 people did say they wanted Onondaga Lake  
5 restored so they could go swimming there and  
6 fishing and so on.

7 The citizens have waited a long time for  
8 the clean up of Onondaga Lake. The good  
9 news is that there is good fishing in the  
10 lake. We understand the carp colony is  
11 wonderful, and even those people from the  
12 United Kingdom would like to come here and  
13 fish for carp.

14 We also understand that you can travel  
15 from Onondaga Lake all the way to the  
16 Mississippi river, but they can also come  
17 here, and that's I think what Warren talked  
18 about in bringing tourism to this community.

19 Last year in 2004, we spent the entire  
20 year on the waterways and water in our  
21 community. We held two FOCUS meetings, an  
22 annual event and a workshop with experts.  
23 Some of you here in this room were part of  
24 that. We ended up with a report to the  
25 community. There were 10 strategies for



## HOLSTEIN

1  
2 Onondaga Lake. I'm only going to read a few  
3 of them to you.

4 The first and foremost was to focus on  
5 water quality. And I think that's what the  
6 DEC, Honeywell and the other remediation  
7 projects are talking about.

8 They want to continue the clean up and  
9 have a long range plan to keep it clean.  
10 And that goes to what Sam Sage just talked  
11 about, the continuing monitoring.

12 They want the public to be informed of  
13 the current state and usability for  
14 recreation and fishing. In other words,  
15 they said, let's get people on the lake not  
16 just standing there and looking at the lake.

17 They want to create a positive publicity  
18 and media campaign about the lake. And I  
19 think we need to do that more and more. Of  
20 course they want the hiking trail and the  
21 bicycle path, the contiguous lake trail to  
22 be finished. And the edge lands be ready  
23 for development and public use.

24 The people talked about public  
25 accessibility and to provide transportation

OHL

to the lake. There is some people who don't have transportation and need public transportation to get to the lake.

And last but not least, they said all around the lake should remain in the public realm. There should be public ownership of the shoreline, and create a long term plan for the use.

I think the citizens of this community would find it very good news to hear that we're finally beginning the process. And we recommend that the process begin as soon as possible. We say start now, just do it. And I do have some documentation on the citizens goals and what they had to say and I will leave them with you. Thank you very much.

DIRECTOR LYNCH: Thank you. Next is Clyde Ohl.

**CLYDE OHL:** My short presentation here is entitled "Build and measure - but No Final Specific Master Plan." I have two areas of concern with proposals for Onondaga Lake.

OHL

1  
2 First, as background, there is a  
3 scientific way to resolve the issues  
4 involving Onondaga Lake. The lake would be  
5 studied by an independent scientist, or  
6 independent scientists with proper peer  
7 review. The remedial issues would be  
8 defined, with extensive models constructed,  
9 based upon selected variables and a final  
10 solution based upon a clearly defined master  
11 plan. We don't have a master plan as yet.

12 Unfortunately, all too often clearly  
13 defined scientific study has been subverted  
14 to what I call is the political process.

15 The result has been what we call the  
16 Build and Measure Plan established by  
17 Onondaga County, without precise goals, to  
18 grapple with the sewage discharge into  
19 Onondaga Lake. Build and measure, often  
20 done without independent monitoring, I  
21 repeat, independent monitoring is a nice  
22 sounding term. However, it is not based on  
23 long-term goals but it's more concerned with  
24 inching along, sometimes delaying the  
25 project.

OHL

1  
2 It comes as no surprise that Honeywell  
3 has followed or decided to follow what I  
4 call the Metro template, and wants the same  
5 arrangement. Fifteen years after the state  
6 filed the lawsuit and after collecting  
7 hundreds - or mounds of data and studies at  
8 a cost of several hundreds of millions of  
9 dollars, detailing the industrial pollution  
10 of the lake, we are again endorsing what I  
11 call this build and measure plan, and again  
12 without a clear predetermined goal.

13 To be succinct, under build and measure  
14 the polluters are being allowed to build  
15 what amounts to interim or test facilities,  
16 and merely measure their efficacy rather  
17 than require actual predetermined results  
18 based upon proper scientific models.

19 This flies in the face of what I call  
20 environmental cleanup practices everywhere  
21 in the country. I have been -- don't get me  
22 wrong now, I've been delighted that  
23 Honeywell has come along. They're doing  
24 things differently than other interested  
25 organizations. They're reaching out to the

OHL

1 public. They haven't announced the final  
2 plan. The final plan, as I understand, will  
3 be about three years from now. During the  
4 meantime they'll be doing a lot of work in  
5 preparing for this.  
6

7 This type of initiative involving the  
8 public is long overdue on issues involving  
9 Onondaga Lake. And I do not want to delay  
10 major positive efforts with reference to the  
11 lake. However, I continue to remain  
12 concerned with the build and measure  
13 approach proposed by Honeywell. The major  
14 shortcoming I again point to is a lack of  
15 modeling for the project, no models. We  
16 have to do what we do and then build and  
17 measure and so on. We spend hundreds of  
18 millions of dollars and we're throwing out a  
19 lot of that information we had before.

20 Using appropriate modeling to arrive at  
21 predetermined measurable goals is an  
22 overriding importance in this issue.

23 My second concern, by the way I  
24 mentioned two, rests with the Town of  
25 Camillus. And it goes like this. I'm not

OHL

1  
2 speaking on behalf of Camillus officialdom,  
3 although as a former town supervisor in  
4 Camillus and a former county legislator I've  
5 been involved in the lake issues for many  
6 many years. I'm also chairman of what we  
7 call somewhat facetiously the Dead Lake  
8 Society. Dead Lake Society. The beds  
9 actually represent a long lost opportunity,  
10 the present beds, represent this lost  
11 opportunity for long term economic  
12 development as well as recreational  
13 opportunities.

14 We just have the wastebeds in Camillus,  
15 several hundred acres. We now have the  
16 chance to regain the opportunity of bringing  
17 these areas back into some type of economic  
18 development profitable for the town.

19 I think it's important for Camillus to  
20 be involved in the design process for the  
21 development of the beds and the surrounding  
22 areas and not merely as a depository for the  
23 tailings from the dredging program.

24 The so-called Allied beds actually have  
25 potentiality easily ignored, often ignored

OHL

1  
2 and not much appreciated for future develop-  
3 ment in Camillus. It seems to me using bed  
4 13 and maybe even expanding it to bed 14  
5 actually overrides or creates a major  
6 barrier to future development. Camillus has  
7 a finite area, and to see Allied beds  
8 continue only as a dumping site flies in the  
9 face of economic development.

10 I do remember a schematic developed  
11 about twelve years ago by Allied Chemical  
12 and they depicted future uses of this whole  
13 area. I was very much impressed. Golf  
14 courses, parkland, all kinds of things, even  
15 potential parking lots for the State Fair  
16 and also maybe a ramp, another exit ramp on  
17 Horan Road that would serve Camillus a  
18 little bit better. Well, time has passed  
19 by, twelve years later, and nothing much has  
20 happened as far as that part is concerned.

21 There is no mention in all of this, by  
22 the way, of economic benefit to the future.  
23 Unless we start now we may well end up with  
24 another lost opportunity. It's not too  
25 early for Camillus to be involved in

FREEDMAN

conjunction with Honeywell and the DEC in any design processes. I want to see a better use of the wastebeds and surrounding areas than we are contemplating at the present time. Thank you.

DIRECTOR LYNCH: Jeffrey Freedman.

**JEFFREY FREEDMAN:** Thank you. I am Jeffrey Freedman, F-R-E-E-D-M-A-N. It's been my privilege and pleasure to have a sailboat and a motorboat on Onondaga Lake for the last six years. It's also been my pleasure to be a member of Onondaga Yacht Club. Onondaga Yacht Club has existed on the shore of Onondaga Lake since 1883, promoting recreational boating on Onondaga Lake and enhancing the recreational boating experience.

On behalf of the members of the Club, we number about 60 families who have about 50 boats that we use on the lake. We thoroughly support these efforts of the DEC and of Honeywell to clean up what we regard as our lake.

In the course of the clean up operations



## FREEDMAN

1  
2 we think it would be in the interest of  
3 public safety to remove all of the under-  
4 water obstructions to navigation. The Noah  
5 charts for Onondaga Lake list at least two  
6 sunken barges and numerous underwater  
7 pilings which remain from the amusement park  
8 on the western shore. These objects present  
9 a clear and present danger to public safety  
10 and also to the safety of the Honeywell  
11 workers who will be out on the lake in their  
12 boats. So we hope that in the course of the  
13 clean up efforts that these objects will be  
14 removed.

15 We hope that the clean up effort will,  
16 in the habitat enhancement part of the  
17 project, that we can have a plan free zone  
18 in the Marina Harbor, that will also support  
19 navigation, and the channel between the  
20 Marina Harbor and the lake in the deep end.

21 We are not anxious to see anchoring  
22 restrictions over the areas that are capped.  
23 An anchor is an item of safety equipment on  
24 a boat. We have seen sudden storms come  
25 across Onondaga Lake and we have measured

## FREEDMAN

1  
2 winds in excess of 80 miles an hour. So we  
3 need to deploy our anchors as a matter of  
4 boating safety, and we would not like to see  
5 any restrictions to anchoring in the cap  
6 areas.

7 Those things being said we look forward  
8 to working with the Honeywell staff as the  
9 clean up progresses. Our organization sees  
10 this as an opportunity to greatly expand  
11 recreational boating on Onondaga Lake. We  
12 have called for the creation of a day camp  
13 with sailing instruction and lake ecology  
14 instruction for children, possibly  
15 associated with our boating club. We would  
16 like to see community sailing programs for  
17 our senior citizens so that retired people  
18 could come and use boats, not necessarily  
19 have to own them themselves.

20 We would like to foster the relation-  
21 ships with our colleges and universities to  
22 bring back intercollegiate sailing on  
23 Onondaga Lake and scholastic sailing. And  
24 we also see our Club hosting Empire State  
25 Games sailing events and also national

## FREEDMAN

1 sailing regattas on Onondaga Lake for one  
2 design sailboats.  
3

4 So we see a tremendous increase in  
5 sailing activity. We would like to also see  
6 a tremendous increase in fishing activity  
7 and rowing shells. So I think the vision  
8 that we have for Onondaga Lake from the  
9 standpoint of recreational boating is that  
10 the thousands of people who already enjoy  
11 Onondaga Lake Park would look out and see  
12 the lake literally covered and populated  
13 with sailboats, fishing boats and rowing  
14 shells on every nice day of the summer.

15 And once again, we are tremendously  
16 appreciative and express our deep gratitude  
17 to the staff of the DEC and to the Honeywell  
18 organization for their clean up activities.

19 Finally, we just hope that - we under-  
20 stand that there is presently a disparity  
21 between the scope of the operations that are  
22 being proposed by Honeywell and by the DEC.  
23 We would not like to see these - this  
24 disparity get bogged down in the judicial  
25 system under court -- in the courts, but we

KOCHAN

would like the clean up effort to go as expeditiously as possible so that we and the public can enjoy our lake. Thank you.

DIRECTOR LYNCH: Nick Kochan.

**NICK KOCHAN:** K-O-C-H-A-N. Good evening and I would like to - village of Liverpool Planning Board Chairman and twenty year resident of the village of Liverpool and a life-long resident of the Syracuse area.

In Liverpool which was incorporated in 1830 as one of the older communities in the area, probably had one of the first commercial enterprises on the lake with the collection of salt. And the focus of the lake has been an economic driver for everybody in this community for a long time.

And the twenty years since Allied has closed the community has taken a new focus and a new direction with respect to the lake. We have worked with the mall, we have the extraordinary growth of the use of the park, the Onondaga Lake Park, and also we have the improvements being done by the wastewater, in the wastewater facilities.

CHAPMAN

1  
2 It's very encouraging to see the effort  
3 that's being put into this project and it's  
4 great to see this is getting closer to  
5 becoming a reality. I just have several  
6 quick comments to make because many of the  
7 points have been covered already.

8 Assuming that the upland remediation is  
9 successful and diligently protected, I would  
10 make that one of the first conditions in  
11 looking at this lake proposal. And we also  
12 have to make sure that Honeywell will still  
13 remain involved in the long-run to maintain  
14 those facilities. I would just like to  
15 encourage Honeywell and the DEC to continue  
16 to work hard and find the best economic and  
17 scientific compromise possible for this  
18 project. Thank you.

19 DIRECTOR LYNCH: David Chapman.

20 **DAVID CHAPMAN:** How are you doing. I  
21 have some scientific statements I was going  
22 to make on behalf of Dr. George Putnam with  
23 our firm. My name is David Chapman, I'm  
24 with Mountain Eagle Management, we're a  
25 technology development firm.

## CHAPMAN

1  
2 I guess mainly I wanted to get across  
3 rather than, I can address this later for  
4 you and give this to you, but there is a lot  
5 going on in the community. First of all, I  
6 want to commend the DEC and Honeywell for  
7 moving towards action steps now as opposed  
8 to just a constant studying and remedial  
9 investigation going on seems like a lifetime.

10 Our firm has a patent on a reverse of  
11 the Solvay process, where they take carbon  
12 rock and turn it into natural chemicals.  
13 It's a patent, you take that natural  
14 chemicals and turn them back into carbon  
15 rock for sealing up buildings and soils.

16 We've run into a lot of, I don't know  
17 let's just say snags along the way in trying  
18 to get an idea of the chicken and egg theory  
19 a cross of whether it's been done before or  
20 how do we know it will work, and a lot of  
21 things like this. One of the things I see  
22 happening in this community right now is  
23 that we're really moving toward a community  
24 of technology development; what's going on  
25 down in Syracuse and various different

## CHAPMAN

1  
2 operations that are happening around there  
3 and what Pataki recently proposed as far as  
4 new technology development in the Central  
5 New York area.

6 And I just want to say I think that with  
7 Onondaga Lake we have a great opportunity to  
8 really look at some of the other  
9 technologies, and I'm not just talking about  
10 ours, I have seen some other technologies  
11 that really hold some serious merit for the  
12 true clean up of the lake.

13 And all I want to say for the record is  
14 just that if we can just make sure that we  
15 have a forum where these technologies can  
16 truly be listened to by people like  
17 yourselves and other scientists and not just  
18 pushed aside where it's been done before.  
19 But really looked at for a way for some  
20 potential solutions.

21 Again, like I said, I want to commend  
22 the DEC and Honeywell and all the fine  
23 engineering firms who worked up to this  
24 point of bringing this to fruition with this  
25 diverse action, instead of just study.

BRAGMAN

That's pretty much it. As far as the technical, I'll leave this for you. Thank you very much.

THE COURT: Howard Bragman.

**HOWARD BRAGMAN:** I am H-O-W-A-R-D B-R-A-G-M-A-N. This will be like really short, just about a minute. It seems that we've been this route before. Not so long ago a professor emeritus from ESF stated it would take at least half a century and then we would not know where we were. Is it emollients, PCBs, mercury, whatever? Because Onondaga County does not collect taxes anymore. Because I used to hear rumors that people who worked for Allied if they suddenly think about polluting the lake, rushed into a room with an exit sign on it and they were out the door.

Why am I not convinced? If Allied were still here we would not be here tonight. I propose damming it because that is the one true way of getting to the bottom of things. In other words, just put up big barriers and get in there and see what you have. And



## MONOSTORY

1  
2 then cap it so well that it probably will  
3 never leak again. And I think the  
4 technology that was here could be developed.  
5 If they can with that movie Titanic develop  
6 technology for the cameras that went down  
7 there, just for a movie, which means  
8 nothing, they can surely do this with  
9 Onondaga Lake if they really and truly want  
10 to.

11 And they could go back year after year,  
12 maybe the first two years after, then two  
13 years, leave a space, two years after, two  
14 years, three years. They have barriers that  
15 they put on highways when they want to work  
16 on them, they can use the same type of  
17 technology on the lake. I don't believe  
18 they can't. Thank you.

19 DIRECTOR LYNCH: Les Monostory.

20 **LES MONOSTORY:** I am Les Monostory,  
21 M-O-N-O-S-T-O-R-Y. I'm president of the  
22 Onondaga County Federation of Sportsmen's  
23 Clubs, and I represent about 30 clubs and  
24 several thousand members of sportsmen who  
25 are some of the primary users of the lake in

## MONOSTORY

1  
2 terms of fishing, boating and we have a fair  
3 number of duck hunters that also use the  
4 lake for hunting purposes.

5 And my concern is about shoreline safety  
6 issues. Many of you may not be aware that  
7 along the shorelines where Allied had the  
8 wastebeds, which really covers basically  
9 from Nine Mile Creek all the way to past  
10 Onondaga Creek to Ley Creek. There was  
11 these wastebeds that leaked calcium  
12 sediments into the lake and particularly  
13 along the shoreline by the so called white  
14 cliffs, which is the area adjacent to the,  
15 well the New York State Fair parking areas.

16 There are areas along the base of those  
17 cliffs where if you walk into the water you  
18 may fall through a hardened calcitic  
19 sediment which has been deposited along  
20 those shores.

21 On November 26th I wrote a memorandum to  
22 Honeywell and DEC Region 7 about safety  
23 concerns related to Honeywell clean up of  
24 Onondaga Lake bottom sediments. I expressed  
25 concern over safety issues along the western

## MONOSTORY

shoreline related to potential hazards for fishermen or boaters who might try to either wade or land a boat along the Onondaga Lake shore.

Honeywell responded with a letter dated December 17th, in which they described proposed remedial measures specifically for the white cliffs section of Onondaga Lake, which comprise portions of SMU 3 and SMU 4.

With regards to the sediments beneath the white cliffs in SMU 3, Honeywell's letter indicates that the FS, I can't think right now, what does FS stand for? Feasibility Study recommended alternative includes dredging of near-shore sediments followed by capping along much of the shoreline.

Shoreline stabilization would be completed along the remainder of the shoreline in this area. And those areas targeted for dredging and capping, calcitic sediments would be removed. And those are these sort of glass type of sediments that I'm talking about. And the area covered

## MONOSTORY

1  
2 with capping materials comprised of stone,  
3 cobble and sand. The thickness and size of  
4 these materials will be determined during  
5 the design phase.

6 They continue. "Various techniques  
7 would be used for shoreline stabilization,  
8 and may include vegetative plantings and  
9 brush mattresses. Along those portions of  
10 the shoreline that are either exposed to  
11 wave energy or more steeply sloped, stone  
12 may be placed at the bottom of the slope to  
13 stabilize the substrate and prevent erosion  
14 of the shoreline treatments. Honeywell  
15 believes these techniques will address the  
16 potential safety concerns you raised related  
17 to calcitic sediments along 2,500 meters of  
18 shoreline."

19 Again, this would be the area roughly  
20 from the 690 turn-off to State Fair Grounds  
21 to Ninemile Creek. That's approximately  
22 about 2,500 meters of distance.

23 Shoreline Safety Recommendations: In  
24 reviewing both the Honeywell and DEC plans  
25 for dredging and capping of the shoreline

## MONOSTORY

sediments in both SMU 3 and SMU 4, it is clear that specific areas along the shoreline will be dredged and capped from the lakeshore up to depths up to 9 meters. However, the reports are unclear regarding what specific stabilization measures will be completed along the shoreline sediments not specifically targeted for dredging and capping in this area.

In order to address the issue of physical safety concerns for anglers or boaters who may try to access the shoreline along the base of the white cliffs, I am recommending that solidified calcitic sediments along the entire 2,500 meters of shoreline at the base of the cliffs be removed to a water depth of one to two meters, and that the entire shoreline be stabilized with capping material composed of stone, cobble or sand to a minimum water depth of 1.5 meters.

The purpose of this additional shoreline stabilization is to provide safe recreational access for shoreline waders,

KACZMAR

1  
2 anglers and boaters, who are currently at  
3 risk when they try to walk the lake shores  
4 at the base of the white cliffs there, due  
5 to existing layers of unstable calcium  
6 carbonate sediment.

7 I also have a separate statement which I  
8 may present later with regards to a fishery  
9 goal statement for Onondaga Lake and  
10 tributaries.

11 DIRECTOR LYNCH: Dr. Kaczmar.

12 DR. KACZMAR: S-W-I-A-T-O-S-L-A-V  
13 K-A-C-Z-M-A-R. I'm adjunct professor at  
14 Syracuse University and I'm chief scientist  
15 for O'Brien & Gere engineers. I'm here  
16 tonight speaking as an independent  
17 scientist. I had the good fortune of a  
18 public education. I have been performing  
19 risk assessment investigations such as this  
20 for over 20 years and teaching others to do  
21 the same.

22 I performed an independent review of the  
23 remedial investigation in the Feasibility  
24 Study for Onondaga Lake. Having reviewed  
25 that, I place particular focus on the risk

KACZMAR

assessment itself. Basically what a risk assessment is, it evaluates the chemicals in the system and it puts together a model of hypothetical exposures, and what's known about the toxic impact.

In reviewing this model the assumptions that were incorporated were very conservative, okay. Meaning that they had some very - assumptions that are unrealistic, but for the purposes of over-stating the risks. And the reason they're over-stated is for the purpose of protectiveness, not to try to put down, you know Honeywell caused the problem or whatever. But taking in the worst case, so that the uncertainties that might be inherit in the system, there are many, could be controlled.

Within that context there were some remedial actions taken to address those conservative risks. And it's my independent opinion that the remedies in the Feasibility Study adequately address those risks. And so I believe it's protective, and I believe it's for all practical purposes an

FULMER

appropriate remedy.

I'm particularly encouraged by the enhancements that are present. These are the kinds of things that are not required, okay, but really are going to make our community a better place, both on the ecological part in providing an integrated potential for development of the community. I'm very happy to see that and I'm happy to be here. Thank you.

DIRECTOR LYNCH: Sharon Fulmer.

**SHARON FULMER:** Thank you. I'm a resident of Liverpool and have been for more than three decades. My family was raised in Liverpool. I have served on two of the Onondaga Lake committees that existed back in the 19 - I don't know '80s and '90s. I see a few people here who were part of that group for the most part. We have all figured it was going to take a long time for something to happen.

And to that end I sincerely hope as others have said before me that Honeywell and the DEC can come to an agreement without



## GLANCE

1  
2 requiring long drawn out processes that can  
3 see this go forth as quickly as possible.

4 I'd also ask one thing. The last slide  
5 you showed today talked about how people can  
6 view information about what's been going on  
7 at the Syracuse library and DEC and one  
8 other place I can't remember what it is.  
9 I'd ask that you remember the people who are  
10 affected the most by this, those being the  
11 people who live in Liverpool, the village  
12 and outside the village. And those people  
13 who live on this side of the lake as well,  
14 and that you provide all those written  
15 materials for the Liverpool library, which  
16 is open seven days a week and open until 9  
17 o'clock every day. And for the library in  
18 Solvay or Camillus, Solvay and Camillus,  
19 which probably have some more hours. Thank  
20 you.

21 THE COURT: Dereth Glance.

22 **DERETH GLANCE:** My name is Dereth  
23 Glance, I'm a Central New York Program  
24 Coordinator for Citizens Campaign for the  
25 Environment. CCE is a not-for-profit,

## GLANCE

1  
2 non-partisan advocacy organization with over  
3 80,000 members across the State of New York  
4 and in coastal Connecticut. We work for the  
5 protection of public health and natural  
6 environment.

7 CCE understands the challenges to  
8 remediate the Onondaga Lake bottom and of  
9 the toxic, persistent and bioaccumulative  
10 chemicals and metals discharged from  
11 industrial polluters are unparalleled. CCE  
12 appreciates the efforts of the New York  
13 State Department of Environmental  
14 Conservation - I'll call you the Department  
15 from now on - Honeywell International and  
16 the host of stakeholder groups dedicated to  
17 improving Onondaga Lake.

18 CCE plans to submit formal detailed  
19 comments for thoughtful review by the  
20 Department. Today, because of the time  
21 constraints I'll limit my comments to the  
22 following recommendations.

23 First, CCE urges the Department to hold  
24 additional public hearings in a question  
25 answer and format. We're very pleased to

## GLANCE

1  
2 hear about the question and answer that will  
3 follow this public comments process, I don't  
4 know the time that will be. And so from the  
5 turnout tonight it looks like we can really  
6 stand to have another public hearing in  
7 February. I understand there are several  
8 folks in the community that have been very  
9 involved in the process and were unable to  
10 make it today due to a variety of different  
11 conflicts.

12 Specifically we would like to have the  
13 additional public hearing to be held in the  
14 question and answer format so that we can  
15 inspire more and more questions from the  
16 community to thoroughly ask some good  
17 questions about the plan.

18 Secondly, we believe that CCE - we  
19 believe that the Department should provide  
20 ample opportunity for public involvement  
21 during the design phase. CCE understands  
22 that some of the most important decisions to  
23 be made regarding the Onondaga Lake bottom  
24 clean up are currently scheduled to occur  
25 during the design phase. These key

## GLANCE

1  
2 decisions currently include determining the  
3 appropriate Sediment Containment Area or the  
4 SCA, identifying the appropriate method of  
5 effluent treatment, in determining the long  
6 term monitoring requirements.

7 CCE believes these issues and others  
8 raised by this project will impact the local  
9 community and that the design phase needs to  
10 be transparent and accessible to the public.  
11 To this end, CCE recommends that the  
12 Department establish a Citizens Advisory  
13 Committee or CAC. The Citizens Advisory  
14 Committee should advise, provide guidance  
15 and support the Onondaga Lake remediation  
16 efforts.

17 CAC members would meet on a regular,  
18 perhaps monthly basis, to review plan  
19 implementation, provide input on design  
20 phase decisions, and receive reports on  
21 Onondaga Lake remediation progress and  
22 challenges. The CAC should consist of  
23 members representing the Onondaga Nation,  
24 scientists, environmentalists, local  
25 environmental officials and concerned

## GLANCE

1  
2 citizens. Such CACs are well established  
3 throughout New York State and the nation and  
4 have been beneficial to government agencies,  
5 stakeholder organizations and the general  
6 public.

7 Finally, CCE believes that the  
8 Department should require public education  
9 as part of the Onondaga Lake bottom  
10 remediation efforts. CCE is concerned that  
11 the Proposed Plan, including the three  
12 preliminary remediation goals or the PRGs do  
13 not include a public education component to  
14 inform the public about the risks of our  
15 changing local waterbody.

16 CCE believes Onondaga Lake remediation  
17 discussions and actions need to be part of a  
18 coordinated public education effort that  
19 will inform individuals about the safety of  
20 using the lake for common recreational  
21 activities such as fishing, consuming fish,  
22 wading, swimming and boating.

23 Specifically, CCE is concerned about the  
24 PRG 2 or the Biological Tissue Goal, which  
25 is to achieve pollutant concentrations, to

HUGHES

the extent practicable in fish tissue that are protective of humans and wildlife that consume fish.

The extensive mercury contamination in Onondaga Lake warrants aggressive public education efforts concerning fish consumption. CCE understands that this is a long term goal, and that the public education and outreach efforts about the risks to human health from consuming Onondaga Lake fish needs to be a critical part of the remediation plan to protect public health. Thank you.

DIRECTOR LYNCH: Don Hughes.

**DON HUGHES:** Thank you, my name is Don Hughes, H-U-G-H-E-S. I've served as technical adviser to Atlantic States Legal Foundation, and I'm a resident of the city of Syracuse since 1985, I believe. I'm going to talk, going to add to Sam Sage's comments earlier, but talk more about some of the technical issues concerning the remediation.

First of all, people should know that the remediation depends very heavily on the

HUGHES

1  
2 viability of the slurry wall. This is an  
3 intermediate, interim remedial measure which  
4 is to be placed along the western shore in  
5 the corner of the lake, it's a mile and-a-  
6 half long. And it will hopefully cut off  
7 the movement of non-aqueous phase liquids  
8 from entering the lake. This has got to  
9 work for this whole plan to work. If it  
10 don't work we're going to be in trouble.

11 It has the cap, which is to be placed  
12 over the in-lake deposit is designed on a  
13 groundwater flow of 6 centimeters per year,  
14 the existing groundwater flow is about 200.  
15 So the slurry wall has got to reduce it, has  
16 got to cut off the groundwater, and you have  
17 to pump that groundwater into a treatment  
18 system. Okay, so that's a big concern.

19 Another concern I've got it has to do  
20 with what we're doing with the sediments.  
21 The sediments are going to be pumped up to  
22 the wastebeds, wastebed number 13 has been  
23 tentatively selected and I would ask why  
24 that one? It would seem that treatment has  
25 not really been considered to any extent

HUGHES

except to the most cursory level.

The contamination in the sediment is concentrated in these tarry deposits which are a non-aqueous phase. And these things are dispersed throughout a matrix of calcium based waste which is the Solvay waste, which is the white, the same stuff that's the white cliffs. And it's probably a fairly easy task to separate those two things. This is, you can use mining technology to separate things which have different sizes and different densities, and it's cheap.

It's been demonstrated on contaminated sediments in Saginaw Harbor, Saginaw Bay. And I was part of that investigation and it does work. And I think that the Department and Honeywell should look extensively into that, because that's a way to take the toxicity out of the sediments. And that is a primary goal of Superfund is to significantly and permanently reduce toxicity.

Another big issue is once you get the sediments onto the wastebeds what about volatile emissions? The sediments contain a



HUGHES

1 whole host of volatile chemicals, including  
2 benzene, toluene, chlorobenzene,  
3 dichlorobenzenes, xylenes and so forth.  
4 These things don't only smell bad, they are  
5 toxic. And we don't want to expose either  
6 residents or workers to this stuff. So  
7 we've got to have a good control system on  
8 odors, on emissions.  
9

10 Another issue has to do with the deep  
11 waters of the lake. Now the plan really  
12 focuses on the littoral zone, the shallow  
13 waters of the lake, the profundal zone,  
14 which is the deep waters, is - well, it's  
15 kind of left in the lurch. It's - the plan  
16 really lacks a plan other than wait and see.  
17 That's what monitored natural recovery is.

18 The concentration of mercury will be  
19 monitored in surface sediments over time,  
20 over 10 years. And this is somehow going to  
21 be modeled using a program called STELA.  
22 STELA is a generic program for which any  
23 number of parameters and inputs can be  
24 specified. Right now we're kind of lacking  
25 basic inputs as to what's going to go into

HUGHES

that.

And there is a lot of issues having to do with disturbance of the sediments and how the STELLA is going to successfully model the sediments. You've got groundwater moving upward into the sediments. There is a release of gas bubbles called ebullition, because there's been so much organic matter deposited in the bottom. And once the lake becomes more hospitable in the bottom waters, hopefully that's going to happen, now that Metro is being upgraded, we're going to see more fish and macro-invertebrates living in the bottom waters, which means more disturbance, more bioturbation of those sediments.

And based on the comments of Mr. Freedman we might see some boat anchors to worry about as well. So the profundal zone is a big big question mark. I would tend to characterize this whole remedial action as Part 1, the littoral zone. And Part 2 is the profundal zone, that will come later.

Finally I've got a generic comment

HUGHES

1  
2 how the decision-making process goes. All  
3 three of the preliminary remediation goals  
4 and all five remedial action objectives are  
5 qualified by the phrase "to the extent  
6 practical." This type of language is  
7 typical in the Feasibility Study. But who  
8 decides what is practical and how will the  
9 public learn of and participate in these  
10 decisions?

11 How useful is the public -- how useful  
12 to the public is a goal that is achieved  
13 based on an undefined assessment of  
14 practicability? Is a qualified goal a real  
15 goal? Shouldn't goals and objectives be  
16 transparent, achievable and measurable?

17 Why not define what clean up levels are  
18 technically practicable given the very best  
19 model cutting edge remediation technologies  
20 fully justifying and documenting the  
21 determination to the public, and make those  
22 the achievable and measurable goals. Thanks.

23 DIRECTOR LYNCH: Sara Eckel. Sara Eckel  
24 here?

25 SARAH ECKEL: E-C-K-E-L, S-A-R-A-H. I

ECKEL & EFFLER

1 have seen the proposed plan to use existing  
2 wastebeds to contain the various sediment.  
3 And my concern evolves around the fact it  
4 will not include a comprehensive clean up of  
5 these existing wastebeds. While I under-  
6 stand the cost-effectiveness of the already  
7 contaminated areas I do not believe the plan  
8 should ignore the future problems that could  
9 result from leaving these areas untreated.  
10 I also understand the need to move this plan  
11 forward and I believe it should be done with  
12 future generations in mind.  
13

14 DIRECTOR LYNCH: Steve Effler.

15 **STEVE EFFLER:** E-F-F-L-E-R. I am  
16 director of research of the Upstate Fresh-  
17 water Institute, a not-for-profit research  
18 organization, and it's involved in the  
19 research study of a number of fresh water  
20 systems throughout New York State.

21 I've spent the larger part of my  
22 professional life studying Onondaga Lake.  
23 Some people do Lake Tahoe, some people do  
24 Lake Erie -- well someone had to do it I  
25 guess.

## EFFLER

1  
2           Anyway, the Institute over the last 20  
3           some odd years has published more than 200  
4           articles in the peer reviewed literature,  
5           and we're quite proud of the fact that one  
6           of those articles entitled The Impact of the  
7           Chlor-alkali Plant in Onondaga Lake and  
8           Adjoining Systems was actually the primary  
9           technical basis for the provisional lawsuit  
10          that has led to this cleanup.

11          As I said, we're involved in the  
12          research of a number of systems and have in  
13          the last decade led the development of water  
14          quality models for the New York City  
15          reservoir system.

16          Let's get down to where we stand based  
17          upon our review of much of the available  
18          documents with regards to cleanup of the  
19          Honeywell site. We enthusiastically endorse  
20          the proposed rehabilitation efforts for the  
21          site that include removal of toxic sediments,  
22          capping of sediments, and improvement of  
23          degraded habitat. We endorse proceeding  
24          without undue delay. Let's get on with it,  
25          we have all waited a long time. With the

EFFLER

following caveats, of course.

There is a continuing review process. EPA will be involved in continuing technical review. There are portions of these documents that frankly fall outside of our expertise. And also we understand the way this process works, if indeed we find new sources of contaminant problems in the future during clean up those items would also be addressed.

All those nice things said, and by the way all the hard work that I know has gone into this, those efforts certainly should be applauded. All that said however, we have great concern with the lack of understanding of the behavior of contaminants from the Honeywell site within the lake itself. This is - we don't fault any of the agencies or organizations involved, to our way of thinking this is largely attributable to the constraints embedded in the Superfund process. It's simply a very difficult arena to get some of the basic scientific information that I think we still need.

## EFFLER

1  
2           Why should the community care about this  
3           esoteric stuff? Well, because neither  
4           Honeywell or the state can really tell us  
5           how much better the lake will be following  
6           execution of these rehabilitation programs.  
7           Meaning, they cannot answer the question  
8           quantitatively at least, how much lower will  
9           fish mercury concentrations be following  
10          these programs? Think about that. And  
11          that's not just mercury, the other  
12          contaminants also.

13               We have every reason to expect, as they  
14               have argued, things will be better. But at  
15               this point don't you think we ought to know  
16               how much better? And basically this comes  
17               down to the what's lacking is a credible  
18               scientific mathematical model that can  
19               predict responses in the lake to these and  
20               other management actions. There was  
21               originally a mathematical modeling element  
22               in the Superfund work, particularly related  
23               to mercury. But these efforts had to be  
24               dropped.

25               While we support moving ahead with clean

## EFFLER

1  
2 up actions without a model - I'll say that  
3 again. We do support moving ahead with  
4 clean up actions without a model, this  
5 limitation should be eliminated in the  
6 future. We need those tools, we need that  
7 level of understanding. As Charlie Driscoll  
8 from Syracuse University was recently  
9 quoted, "If you understand the system you  
10 can model it."

11 So where we are is, while we expect  
12 things to get better and indeed so do I, I  
13 think we want to know it a little better  
14 than that.

15 Further, UFI recommends that this model  
16 be developed and tested outside of the  
17 Superfund process. Simply put, the process  
18 by the way it is set up it is simply not the  
19 arena to get this level of understanding.  
20 The kinds of questions or information such a  
21 tool gives is, it allows us to evaluate the  
22 feasibility of reaching various goals,  
23 certain levels of contamination in fish  
24 flesh, it will help us establish reasonable  
25 expectations for the lake in response to



EFFLER

1  
2 rehabilitation efforts. How much better  
3 will it get? And allow and support  
4 quantitative evaluation of management  
5 alternatives. And could contribute to  
6 future parts of a management program.

7 Lastly, we support the comments of a  
8 number of previous speakers with regards to  
9 the monitoring program. The monitoring  
10 program is extremely important, particularly  
11 for the adopted build and measure approach  
12 that relies primarily upon monitoring  
13 information before and after implementation.

14 This needs to start ASAP. We really  
15 don't have, from what's been done so far,  
16 adequate monitoring data to be able to  
17 assess how much better things are going to  
18 be following implementation. This needs to  
19 be designed and implemented so that it can  
20 also support the modeling program. It needs  
21 to be flexible to allow changes in response  
22 to observations, it needs to be flexible,  
23 right.

24 In other words when we see certain  
25 behavior we need to make changes. And

## CIAMPI &amp; PEDEMONTI

1  
2 that's very difficult within the Superfund  
3 process. And we believe that this data  
4 needs to be available to the public soon  
5 after collection as well as other experts.  
6 Thank you very much for your time.

7 DIRECTOR LYNCH: Nancy Ciampi.

8 **NANCY CIAMPI:** Thanks, Ken. Nancy  
9 C-I-A-M-P-I. I'm a town of Geddes resident.  
10 And I just want to say thank you, express my  
11 appreciation to the DEC, to Honeywell, Earth  
12 Tech, for the sessions that were held in the  
13 Town of Geddes December 9th, and the two  
14 sessions in January, as well as tonight.  
15 And hope that they continue.

16 My comment is that I feel these sessions  
17 are very important to the success of the  
18 plan and that the public needs to know that  
19 there will be well publicized open and  
20 honest public meetings to get frequent  
21 status updates and share their concern.

22 DIRECTOR LYNCH: Peter Pedemonti.

23 **PETER PEDEMONTI:** P-E-D-E-M-O-N-T-I. I  
24 just like to say I would like to see the  
25 most thorough and complete clean up of the

ARNOLD

lake regardless of time or cost. Just because when put into the context of our responsibility to future generations, the Onondaga Nation, wildlife and the lake itself, it means a little less. So thank you for the opportunity to comment.

DIRECTOR LYNCH: David Arnold.

DAVID ARNOLD: My name is Dave Arnold, A-R-N-O-L-D. I'm a life long resident of Onondaga County, Town of Clay. And I am a farmer. My farm is located on Route 57, just north of Moyers Corners almost to Three Rivers.

Two years ago on January 15th, 2003, I stood in front of you and spoke against issuing Evergreen Recycling a permit to operate in the Town of Clay. Along with 500 others we spoke our minds and collectively convinced you this was not a good idea, even though the Clay officials did. During this meeting I spoke about illegal acts committed by our elected officials. Since that time our representatives have rewarded those acts by issuing more than \$2.5 million in grants

ARNOLD

on projects involving a fraudulent contract at Three Rivers Point.

The Onondaga Lake Cleanup Project is much larger than the projects involved in Clay. The Clay Brownfield clean up project at Three Rivers could easily surpass \$50 million if the land is cleaned up the way it should be.

If we can't even start a project in Clay without corruption and fraud at the \$50 million level, how in the world can Onondaga Lake Cleanup Project succeed? A half a billion dollars in this town is a big chunk of change. We need someone at the county level that we can trust to take charge and appoint public committees of oversight that will independently scrutinize all phases of these projects. We must all take responsibility for neglecting Onondaga Lake and Three Rivers Point. Yes, the perpetrators will pay a large price, but we will pay an even higher one if we don't succeed.

On September 10, 2004, I contacted the Attorney General's office. It is my hope

MOSSOTTI

1  
2 that Mr. Spitzer will investigate and  
3 prosecute all those involved in corruption  
4 and fraud in Onondaga County, so we can then  
5 proceed with confidence on these extremely  
6 important environmental projects.

7 We are fortunate in this country to be  
8 able to criticize those who represent us.  
9 What is unfortunate is when they refuse to  
10 listen. Thank you.

11 DIRECTOR LYNCH: Sherry Mossotti.

12 **SHERRY MOSSOTTI:** Thank you. Hello, Ken.  
13 Sherry M-O-S-S-O-T-T-I. I'm here to speak  
14 as a citizen and a taxpayer of Onondaga  
15 County. I am a life long resident of this  
16 county. For over 23 years I have driven by  
17 Onondaga Lake and thought what a shame.  
18 I've traveled all over the world, and it  
19 doesn't take someone to travel to know the  
20 importance of a lake on a community. This  
21 is an opportunity, folks.

22 In my position as executive director of  
23 the Premier Community Leadership Program in  
24 this community that trains and educates our  
25 community's leaders which include 600 adults

## MOSSOTTI

1  
2 and 300 youth leaders, we have had the  
3 opportunity to hear about the history of the  
4 lake from a historian, what's in the lake  
5 from the scientists and biologists, the  
6 engineers, the methodologies for clean up,  
7 and also the economic potential of Onondaga  
8 Lake. Onondaga Lake clean up is a topic  
9 that continually comes up among our  
10 community leaders that we train every single  
11 year.

12 We have met with Honeywell, we have met  
13 with the DEC, and we have reviewed all of  
14 the proposed plans. I have discussed this  
15 with Ken Lynch, Neil Murphy, who is the head  
16 of SUNY ESF, numerous scientists, engineers  
17 and residents both adult and youth. And it  
18 was great to see some young people come up  
19 and speak this evening.

20 On behalf of Leadership Greater Syracuse  
21 we applaud Honeywell, the DEC, the county,  
22 the city, O'Brien and Gere, and all the  
23 interested parties for coming together to  
24 the table. And we ask you, no, we implore  
25 you, on behalf of our community, our

BROWN

wildlife, our children and our grandchildren, to continue to come together and work at the table and move this project forward to find a resolution that we can all be proud of for years to come for our children and our grandchildren. Thank you.

DIRECTOR LYNCH: Terry Brown.

**TERRY BROWN:** Thank you. I have to be honest I'm a little conflicted here this evening, didn't know whether I was going to say anything. But I'll get unconflicted at the end of my comments here. My name is Terry Brown, I'm am chairman/CEO of O'Brien & Gere, it's an engineering and construction firm headquartered in Syracuse, New York. And I have lived in Syracuse all my life. I raised my family, and I've been with O'Brien & Gere nearly 30 years.

I spent my first six years of my career with O'Brien & Gere making or building the third Metro wastewater treatment facility. It's now in its fourth construction. In 1974 that was supposed to clean up the lake, if people go back and look at the newspaper

BROWN

articles.

I really have a passion for the community, a passion for this lake. And I have really more so a passion of the opportunity we have as a community in front of us.

As an organization, O'Brien & Gere, we're in our 60th year. Our founder, Earl O'Brien, graduated from Solvay high school in 1913. So we have a presence in this community. We pride ourselves in offering cost effective environmental solutions for our clients and municipalities we serve. Solutions which on sites, environmentally impacted, they protect the environment for future generations. That's kind of the background.

As I started listening to some of this thing, I've attended these information hearings and I have spent a lot of time in the last, I spent 18 months looking at the sites and what they could be, trying to develop a vision with a couple of my colleagues on our own time. And the vision



BROWN

1  
2 that we can create as community for the  
3 sites and the lake is just unbelievable.

4 We really are at a crossroads in this  
5 community as to what we can do. And the  
6 thing we talk about, and I'm an engineer,  
7 which is much different from a scientist,  
8 I'm a doer. And I was trained, some of my  
9 training was in military. The one thing I  
10 was trained to get was the information, as  
11 much as you can, in your gut, you know  
12 what's ahead and there is tough times ahead  
13 of you but you manage the situation and go.

14 And we can talk about modeling, and all  
15 this other thing that we've talked about but  
16 there is a point in time where we have to  
17 go. And I'm sorry, we have made this so  
18 confusing for the public, modeling and the  
19 science. This is not. And I beg  
20 forgiveness from some of my scientific  
21 colleagues, this is not rocket science. We  
22 don't need to make it difficult for this  
23 community to understand.

24 We have enough information and to go  
25 with the information we have, to have an

BROWN

1  
2 effective clean up in this community and  
3 create a vision. But we have to have a  
4 sense of urgency. That's what I want to  
5 stress, this is not necessarily the DEC but  
6 the people that are commenting and running  
7 comments in the future.

8 We have, I have worked on sites for 25  
9 years. We've had numerous corporations,  
10 we'll buy out a site, different philosophy,  
11 different management team come in. We have  
12 an organization willing to invest in this  
13 community now and take action. That could  
14 change tomorrow. We can't let this slip by  
15 us.

16 And when I say acting, take the  
17 information that we have, I could give you a  
18 resume of hundreds and thousands of  
19 environmental sites. And we just had some  
20 information, we knew what the science was,  
21 we didn't have all the answers but we went  
22 out there and cleaned it up. And to my  
23 knowledge O'Brien & Gere was never cited for  
24 any environmental citation, our reputation  
25 is flawless in the nation. We have worked

BROWN

1  
2 with DEC and some of the gentlemen sitting  
3 here on numerous occasions. We didn't have  
4 a lot of information, but we had enough  
5 science, we knew what the conditions were  
6 and we managed it.

7         So my comment really to this group here  
8 is we have to have a sense of urgency. We  
9 have to make the science simpler. We can do  
10 the modeling as we go along. We'll learn  
11 more by doing and addressing the issues as  
12 we take on the environmental remediation  
13 than we will ever learn in the modeling  
14 process. And we'll have better models in  
15 the future. But we have to move on.

16         A very wise gentleman said to me this  
17 afternoon, who we all respect in this  
18 community, he said, we have an opportunity  
19 and we've got to make it right. But we also  
20 have to move and we have to move with  
21 urgency so we don't lose this opportunity.  
22 Thank you.

23         DIRECTOR LYNCH: Those are all the  
24 people that signed up to speak. Is there  
25 anyone else who wants to speak for the

## MONOSTORY

record other than a question and answer period? Les?

**LES MONOSTORY:** I'm speaking now on behalf, well as a co-chair of the Fisheries Subcommittee of the Onondaga Lake Partnership, also vice-president of the Central New York Chapter of the Izaak Walton League. And I'm going to talk about a fishery goal statement for Onondaga Lake and tributaries.

"It is difficult to evaluate the restoration plan for Onondaga Lake without first reaching a community consensus on the restoration goals and objectives for Onondaga Lake and it's major tributaries." This is a memo that I wrote to the Outreach Committee on October 27th, and also addressed to the committee chairman, who is Seth Ausubel with the US EPA.

"On November 10, the Fisheries Subcommittee meetings included a discussion on fisheries goals and objectives for Onondaga Lake. Comments include the following:

## MONOSTORY

Participants at the first Onondaga Lake Fisheries Roundtable agreed that we want to improve what fisheries we already have.

Onondaga Lake and it's principal tributaries can be promoted as a combination cold-water and warm-water fishery.

The Fisheries Subcommittee members agreed that as a future fisheries goal, Onondaga Lake should be clean enough to support both warm-water and cold-water fish species, including trout and Atlantic salmon.

On November 17th I received an e-mail from Dave Lemon, an aquatic biologist with DEC in Cortland. Lemon is a member of the subcommittee but was not able to attend the November 10th meeting. He had the following comments:

Reading over the November 10 meeting minutes I just wanted to provide some comments regarding the desire for creating a cold-water fishery on Onondaga Lake." We're getting a little technical here but this is - Lemon makes some interesting points.

## MONOSTORY

1  
2 "We in the Region 7 Fisheries Office do  
3 not feel that reestablishing a self-  
4 sustaining population of trout and Atlantic  
5 salmon in Onondaga Lake is a realistic goal.  
6 I'm not sure if this is the objective of the  
7 group or not." Referring to our fisheries  
8 subcommittee.

9 "I've attached a draft position  
10 statement to EPA, which provides some facts  
11 on the life histories of the Cisco," the  
12 former white fish "and Atlantic salmon as  
13 well as current and expected conditions in  
14 the lake. Based on this we don't believe  
15 that self-sustaining salmonid population are  
16 a realistic objective in the foreseeable  
17 future.

18 As such we feel that the realistic  
19 objective for the lake's fish community is a  
20 combination of cool-water walleye, perch,  
21 pike, and warm-water bass, bluegill,  
22 etcetera, species. We certainly would be  
23 happy if lake conditions improve enough so  
24 that year-round habitat for trout survival  
25 exists, but for the foreseeable future that

## MONOSTORY

scenario is unlikely.

The Region 7 Fisheries Office has prepared a draft position statement to EPA entitled 'Coldwater Fisheries Rehabilitation and Management in the Onondaga Lake Watershed,' also known as the Fishery White Paper, which was prepared in July of last year. In addition to providing background information on lake water conditions and environmental requirements for various fish species, the White Paper recommends adoption of a fishery goal statement for Onondaga Lake."

A specific Goal Statement for the lake is presented as follows. "In the long term the Onondaga Lake Partnership supports the achievement of a suitable year-round habitat for a sustainable warm-water and cool-water fishery in the lake and conditions conducive for transient cold-water species in the lake and resident cold-water species in the lake tributaries."

As co-chairman of the Partnership's Outreach Committee's Fishery Subcommittee I

NUNES

1  
2 endorse the fisheries goal statement  
3 contained in the DEC's Fishery White Paper  
4 and recommend adoption of this goal by the  
5 Onondaga Lake Partnership and its member  
6 agencies. This I think will help us at  
7 least in terms of what we would like to  
8 achieve as a fisheries goal and as a  
9 lifetime fisherman and, you know, as  
10 president of the Sportsmen's Federation I  
11 think - I happen to agree with the DEC's  
12 Fisheries goal for the lake.

13 DIRECTOR LYNCH: Anyone else like to  
14 speak? Bob?

15 **BOB NUNES.** My name is Bob Nunes,  
16 N-U-N-E-S, I'm the EPA project manager for  
17 the Onondaga Lake NPL site and I just wanted  
18 to briefly elaborate on what Ken said  
19 briefly in the presentation about EPA's role  
20 and what process it's following now with  
21 regards to this Proposed Plan.

22 EPA's role for the Onondaga Lake  
23 Superfund site has been to act as a support  
24 agency to DEC. In this capacity EPA has  
25 provided approximately \$18.7 million to the



## NUNES

1  
2 State of New York under a cooperative  
3 agreement. And this funding has supported  
4 the performance of investigation activities,  
5 coordination and tracking of site-wide  
6 remediation activities, development of a  
7 comprehensive enforcement program,  
8 implementation of a site-wide citizen  
9 participation program, creation and  
10 maintenance of a site-wide database and  
11 project management activities.

12 EPA has also provided technical supports  
13 to DEC related to the investigation and  
14 clean up of the Onondaga Lake subsites. For  
15 the Onondaga Lake bottom subsite EPA  
16 provided technical support during the  
17 rewrite of the remedial investigation and  
18 review of the Feasibility Study report.

19 EPA will offer a position on the  
20 preferred remedy after the Proposed Plan and  
21 other project documents have been reviewed  
22 by EPA's National Remedy Review Board and  
23 EPA's Office of Superfund Remediation and  
24 Technology Innovation Sediments Team.  
25 (Microphone emitting noises) I thought it

NUNES

was the acronyms that were causing the problem.

The National Remedy Review Board is an EPA peer review group composed of technical and policy experts that review all proposed Superfund clean up decisions that meet certain cost-based or other review criteria to ensure that the proposed decisions are consistent with the Superfund law, regulations and guidance.

EPA Sediment Team offers consultation to assist risk managers in making scientifically sound and nationally consistent risk management decisions at contaminated sediment sites. The Board and Sediment Team will provide feedback to EPA Region 2 and a summary of the Review Boards and Sediment Teams comments and responses from the Region will be included in the responsiveness summary in the Record of Decision. Thank you.

DIRECTOR LYNCH: Anyone else? I want to thank everyone for some great comments. What we're going to do right now is take a

## Q&amp;A

1  
2 very short five minute break, allow our  
3 stenographer (court reporter) to rest his  
4 hands and everyone to stretch a little bit.  
5 But we're going to try to start again real  
6 quickly with a question and answer period in  
7 about five minutes.

**(Brief recess then Q&A period) .**

8  
9 DIRECTOR LYNCH: Please don't be afraid  
10 to move up closer to us. Okay we're going  
11 to reconvene with the question and answer  
12 session. I apologize to all of you out  
13 there that have been sitting, dying to ask  
14 questions. As you can see we had a lot of  
15 people sign up for official public comments  
16 so we had to take those first. And  
17 hopefully we can answer all your questions  
18 tonight that you've been waiting to ask.

19 I will be attempting to answer some of  
20 those questions but not being an engineer or  
21 scientist myself I'm going to rely on my  
22 experts which are in the first two rows here.  
23 So please be patient with us so that we can  
24 identify the appropriate person amongst us  
25 to answer your particular question.

## Q&amp;A

1  
2 I will ask a couple things. Try to ask  
3 only one or two questions at a time so I can  
4 get around the room and at least give  
5 everybody an opportunity to ask questions.  
6 We're going to try to go as long as  
7 possible. We'll also likely stick around to  
8 talk one-on-one with you if you want to ask  
9 your questions in that form.

10 We would also ask that if you have an  
11 especially technical question, and being a  
12 complex cleanup there are a lot of technical  
13 issues and questions, we will try to briefly  
14 respond to that. But we may ask that you  
15 stick around or talk to one of our experts  
16 outside on that particular interest so we  
17 don't consume everybody else's time and take  
18 up the opportunity for some other questions.  
19 So what I'm going to do is kind of open up  
20 to raise your hand and I'm going to ask  
21 Dawn, we'll start in the front and Dawn kind  
22 of work back with the microphone so she's  
23 not jumping all over the place.

24 Questions. You're going to have to  
25 start in the back Dawn. Also state your

Raichlin - Lynch

name for the record because this is also going to be recorded. This question and answer will be part of our response and summary as well as a response to all the comments that were made earlier .

**BARRY RAICHLIN:** Has there been any other searches all over the world with any other ways to do this than what we have, just plain on dredging like your swimming pool? Has there been any other things? With all the engineering we have in the world why haven't we looked into somewhere else that might have a better idea than we have? We're looking for Number 4, not Number 1. Get this done. Either you do it all, do it right or don't even bother because mother nature is doing a great job so far.

**DIRECTOR LYNCH:** The Feasibility Study that was an assessment of all the alternatives requires Honeywell to go and look at other technology out there other than just dredging. And although the Feasibility Study concentrates on dredging

Raichlin - Lynch

1  
2 and capping alternatives Honeywell wasn't  
3 required to look at some other technical  
4 expertise around the country and around the  
5 world. And I'm not aware of any specific  
6 one that they looked at or one that they  
7 found would address a mercury and a  
8 sediments issue.

9 But they did look at, one of the things  
10 they looked at, as you said, leave it alone.  
11 They did look at the option of leaving it  
12 alone. And it was simply as a Department we  
13 didn't feel that that lake would heal itself  
14 in an acceptable time frame. It would leave  
15 open the environment, the fish, humans  
16 accessible to contaminants for a very long  
17 period of time before it was covered up.

18 **BARRY RAICHLIN:** Well, this is the fox  
19 in the hen house deal. As long as the  
20 little dinky fox is there we're going to  
21 have the same problem. I won't live long  
22 enough but the problem is going to be there  
23 unless we get everything out of there. We  
24 stop all the pollution and, you know, all  
25 the arteries going into the lake, it's never

## Rhodes Q&amp;A

1  
2 going to stop. This is just providing jobs  
3 for everybody, engineering, everything else.  
4 It's not the solution. You've got to cut  
5 the BS, you've got to get it all out of  
6 there or don't do anything.

7 You can damn it or whatever, you get  
8 right down to the bottom all the way around  
9 the lake, you won't have to worry about it  
10 anymore once you got them in jail, the  
11 crook, right? If you don't do that it's  
12 just going to keep going on and on.

13 I've been here 60 some years, if you  
14 don't straighten it out now it's never - if  
15 you don't do it completely it's never going  
16 to stop.

17 DIRECTOR LYNCH: We understand it's very  
18 important to address it now and we think we  
19 have a pretty good plan to do that.

20 **BARRY RAICHLIN:** Thank you very much.

21 DIRECTOR LYNCH: Thank you. In the back.

22 **TOM RHOADS:** My name is Tom Rhoads,  
23 R-H-O-A-D-S, and I was wondering about the  
24 sediment containment areas. I'm sorry I  
25 missed the first part but it seems like

## Rhodes Q&amp;A

1  
2 there is an awful lot of dredge spoils that  
3 are going to be moved in this project and I  
4 was wondering if there were going to be  
5 further public hearings or further discus-  
6 sion on the transport of those sediments,  
7 the dredge spoils and the containment system  
8 for the Sediment Containment Area and the  
9 capping enclosure of that so the sediments  
10 are not remobilized later on into the lake.

11 And I was wondering if there would be  
12 future public hearings on sort of that  
13 portion of the cleanup. This was primarily  
14 about the lake itself. Thank you.

15 DIRECTOR LYNCH: Excellent question.  
16 First the sediments have two options, two  
17 routes. They could go to a permitted  
18 facility or the less contaminated sediments  
19 right now are proposed to go somewhere on  
20 the wastebeds. That is a pretty general  
21 proposal in the plan. It is not defined and  
22 we admittedly will say that there is a lot  
23 of design work that needs to go into any  
24 sediment containment area on the wastebeds  
25 or anywhere else before it's built.



## Q&amp;A Rhea

1  
2 We do have the very basic requirements  
3 that a liner be placed for such a structure  
4 that thereby a leachate collection system  
5 and that leachate be treated. We will not  
6 permit or allow any sediment containment  
7 area unless we are convinced that it's  
8 stable and can adequately withhold the  
9 sediments that are put in that area.

10 We will be reviewing any proposals  
11 during the design phase. I will expect and  
12 I have had a meeting with the Town of  
13 Camillus, some of the residents that live  
14 near that area, that we will be coming back  
15 to the public to discuss any specific  
16 proposals that are made for disposal on  
17 those wastebeds. And that will likely also  
18 involve a public meeting for anyone  
19 interested in the specifics of that proposal.

20 Other questions?

21 **JIM RHEA:** Jim Rhea, R-H-E-A, life-long  
22 resident of Onondaga County. And I just  
23 have a clarifying question hopefully. In  
24 your presentation earlier you talked about  
25 the two different options, the one that

## Q&amp;A Rhea

1  
2 Honeywell had advanced and then the one that  
3 the state advanced in their plan. And there  
4 is a big difference there in terms of total  
5 volume that is going to be removed as well  
6 as total cost.

7 We heard some comments earlier about  
8 urgency and the need to work together and  
9 cooperatively. I wonder if you can comment,  
10 maybe clarify for everyone here what is the  
11 difference between those two in terms of  
12 actual volume and then maybe actual risk  
13 reduction. Because I assume that those  
14 differences need to be related to risk.

15 DIRECTOR LYNCH: You hit the major  
16 difference. Conceptually the two plans are  
17 very similar in that they both divide the  
18 lake into eight specific sections and  
19 develop a cap and dredge proposal for each  
20 of those sections.

21 The biggest difference in the - between  
22 the two plans is the amount to be dredged  
23 and the amount of capping that's placed.  
24 And the Department's position is, we took a  
25 very much more conservative view as the

## Q&amp;A Arnold

1  
2 amount of material that needs to come out,  
3 the contaminated material that needs to come  
4 out, partially based on a risk assessment.

5 And also a little more conservative view  
6 of the depth of a cap that actually needs to  
7 be placed in the water to be protective.  
8 There are some other differences and these  
9 guys can probably add to that if you want to  
10 hear more about the differences between the  
11 two plans.

12 But the significant differences is the  
13 amount to be dredged. I think it was a half  
14 a million cubic yards in the Honeywell  
15 proposal and 2.7 for the DEC proposal.

16 **DAVE ARNOLD:** Dave Arnold, I spoke  
17 earlier. I guess what I'd like to do is  
18 just clarify, Mr. Lynch. In the beginning I  
19 said that I attended a hearing on Evergreen  
20 Recycling in the Town of Clay. And I would  
21 just like to I guess have some reassuring  
22 that you're not going to dump the bottom of  
23 Onondaga Lake on top of the Town of Clay on  
24 Woodward Industrial Park.

25 **DIRECTOR LYNCH:** There is no proposal to

## Q&amp;A Martone

1  
2 do that, Mr. Arnold.

3 BARRY RAICHLIN: Why not?

4 DIRECTOR LYNCH: Any other questions?

5 **RALPH MARTONE:** I live over here in the  
6 city. I would like them to just expand on  
7 the toxic mercury methane and what is the  
8 possibility of, you know, health, once they  
9 start to dredge.

10 DIRECTOR LYNCH: During the dredging  
11 activities itself? You mean the extent to  
12 which mercury will be stirred up?

13 Q. (Martone) Right. I heard a new term to  
14 me, mercury methane?

15 A. (Lynch) Mercury methylation.

16 Q. Yes, what type of threat is that to the  
17 public health?

18 DIRECTOR LYNCH: I'm going to draw on  
19 one of my experts on this one to answer.  
20 Who can answer in very general terms. If we  
21 can explain mercury methylation and the  
22 potential impact from mercury during the  
23 dredging activities.

24 A. (**Bob Edwards**) I think I'm loud enough.  
25 I volunteered to answer your question. I

## Q&amp;A Martone - Edwards

1  
2 work with the DEC and I've been involved in  
3 many or several anyway, dredging projects  
4 across the state. I was project manager of  
5 one big one up in Lake Champlain. And there  
6 are a number of controls, engineering  
7 controls that take place in the lake while  
8 we're dredging that would not expose any of  
9 the public to any mercury or any other  
10 contaminants that's in the soil or in the  
11 sediments.

12 Once that material is pumped up to the  
13 treatment system and the containment cell  
14 there will be controls up there to minimize  
15 odors, and there won't be any opportunity  
16 for this material to spill outside of the  
17 work zone. I mean that's one of the reasons  
18 these designs are so long is we have to  
19 cross every t and dot every i on the  
20 engineering aspects of it before we do  
21 start.

22 I know many people spoke to me today  
23 about how I remember they dredged down in  
24 Jamaica Bay or when they dredged the canal  
25 out and they just sprayed the stuff every-

## Q&amp;A Martone - Edwards

1  
2 where. That's a different type of dredging  
3 than environmental dredging. And actually  
4 the days of just spraying it up and the  
5 odors being uncontrolled are long gone. The  
6 public will not allow that to happen and we  
7 will not allow it to happen as DEC.

8         So I don't know if you were here for the  
9 availability section, but there is a lot of  
10 different things we can do to control odors  
11 and prevent releases of chemicals and  
12 exposures to the public and to workers.

13         One thing - at any of these jobs all  
14 workers are required to be trained in health  
15 and safety. There is many courses we have  
16 to take, there is many different protective  
17 clothing and respirators and stuff that we  
18 wear. So human safety, public safety,  
19 worker safety, those are paramount to any of  
20 these jobs. And all those controls and all  
21 those provisions are taken up in the design  
22 so that before any of this work starts we've  
23 addressed all these concerns.

24 Q. My question really is the hazard of  
25 mercury, this mercury evaporating, can that

## Q&amp;A Martone - Edwards

1  
2 get into the atmosphere and surrounding  
3 areas or not? Is that possible or not?

4 A. Not during the dredging process because  
5 it will all be under water. It won't come  
6 up. How environmental dredging - or how  
7 hydraulic dredging works is a large amount  
8 of water is moved with the sediment. It's a  
9 giant pump on a boat, is essentially what it  
10 is.

11 Q. Slurry dredger?

12 A. It will slurry the material and pump it  
13 so there is no opportunity during the  
14 dredging process for that material to come  
15 to the surface, to the air. First time that  
16 material will be in the atmosphere would be  
17 at the treatment facility. And at that  
18 point there is other controls that can be  
19 taken to prevent exposure there.

20 RALPH MARTONE: Thank you.

21 **HENRI HAMEL:** I can probably be loud  
22 enough too. My name is Henri Hamel, I work  
23 for the State Health Department in Syracuse,  
24 and fairly familiar with the Onondaga Lake  
25 problems because I was a SUNY ESF student a

Q&A Martone - Hamel

1  
2 long long time ago. I don't want to say how  
3 long.

4 Under current conditions the only risk  
5 or the primary risk that we've seen from the  
6 lake would be to people who are consuming  
7 fish. And as far as mercury getting into  
8 the atmosphere from the lake, that's not  
9 quite the way it works here. The mercury  
10 that we're worried about is mostly tied up  
11 in the sediments in the bottom of the lake  
12 where it was deposited. So you're not  
13 taking any hazards or any exposure from  
14 mercury just under the current conditions by  
15 living near the lake or walking around the  
16 perimeter or anything like that.

17 Now when we do start dredging, as Bob  
18 said, the dredging operation is under water,  
19 so we're not expecting that we're going to  
20 have any mercury exposure coming up. The  
21 sediments will be transported by pipe to the  
22 containment facility, and at that point  
23 we'll be trying to design systems then that  
24 will prevent anyone from being exposed to  
25 any volatilization of mercury or any of the



## Q&amp;A Martone - Hamel

1  
2 other chemicals that we're going to be  
3 removing.

4 Now part of our operations at the lake  
5 front and also at the containment facility  
6 will be some health and safety monitoring  
7 for the workers. But we also mandate, the  
8 State Health Department requires that these  
9 projects have community monitoring programs.  
10 And we have instruments that can detect  
11 volatile organic chemicals, we also have  
12 instruments that can detect mercury.

13 So there will be monitoring to prevent  
14 any exposure to the public. And provisions  
15 that -- of what we would call action levels.  
16 And if we detect something with our  
17 instruments that is approaching a level that,  
18 it's a conservative level that means that  
19 somebody is going to be exposed then we have  
20 contingencies to shut down the project, do  
21 something differently, design a different  
22 system.

23 So we are very concerned about exposures  
24 to the public. We want to do this project  
25 to minimize that. And that's part of the

## Q&amp;A Freedman

1  
2 design too. And we will be back talking  
3 about the design.

4 **JEFFREY FREEDMAN:** I just wonder if the  
5 folks from Honeywell would care to comment  
6 on their basis for believing that their  
7 Proposed Plan would bring the Onondaga Lake  
8 into compliance with the Clean Water Act.  
9 We've heard from the DEC and I think the  
10 public would like to hear from Honeywell if  
11 they would care to comment as well.

12 **DIRECTOR LYNCH:** This is a DEC meeting  
13 and I don't want to turn it into a  
14 Honeywell/DEC debate. I know the Honeywell  
15 people very well and if they're willing to  
16 speak they can or if they're willing to talk  
17 to you later, which I'm sure they would,  
18 outside to talk about this.

19 I know Honeywell has obligations and  
20 requirements under the Superfund process so  
21 I respect their position. If they want to  
22 maybe talk outside with you to explain the  
23 difference and their thoughts on their plan.  
24 And I see them shaking their head out there.  
25 So I think they would like to meet you after

Q&A Raichlin

the meeting and talk to you.

**BARRY RAICHLIN:** You know, I was wondering she says they're going to develop means to process the waste. What do you mean they're going to develop it? Don't they know how to do it yet? Does all that water that's going to be pumped over there - what are they going to do with that, is that going to go back into Onondaga Lake like Skaneateles Lake water? Is it going to be sitting there and have to dry out for ten or fifteen years like the rest of that mess over there had to do? Why aren't we taking it to Wyoming or Buffalo or some other place. Why do we have to put it in our own back yard? That doesn't make any sense. Are there any other alternatives like railroads that we still have? You know, why can't we do that, why do we have to put it in our own back yard? Come on.

**DIRECTOR LYNCH:** Again, part of the Feasibility Study looked at those, specifically railroad, truck, transportation to facilities not only in New York State but

## Q&amp;A Raichlin

1  
2 out of state. This is one, another thing  
3 that they looked at was the feasibility of  
4 putting it nearby on the wastebeds where  
5 deposits have been placed before.

6 BARRY RAICHLIN: And it stunk.

7 DIRECTOR LYNCH: And the Department has  
8 agreed to assess that proposal. And if they  
9 can specifically design it, we know that  
10 they can dredge and place it in an area and  
11 contain the water and treat the water before  
12 it is discharged back to the lake.

13 They can dredge an environmentally safe  
14 manner and control the dredge spoils. It's  
15 been done before. We're very familiar with  
16 the basics of that operation. However, this  
17 is specific to Onondaga Lake. We have more  
18 contaminants, we have a lot of different  
19 contaminants, we have a unique area in the  
20 wastebeds.

21 So that's why we have to look at the  
22 details that Henri talked about and design  
23 something that will be safe to the  
24 environment. And if they can demonstrate  
25 that it will be safe to the environment it's

## Q&amp;A Raichlin - Lynch

something that we will consider in this area.

Q. (Raichlin) How do they take the water out of all those sediments and not ruin the whole area? She said they have to design something. Don't they know how to do it yet? That's scary.

A. (Lynch) I think they know how to dewater sediments. But specifically up on the wastebeds for this amount of sediment and the type of water that you're going to be taking out of those sediments you have to design specific parameters to demonstrate that it will be an effective ratio.

Q. So you're going to put it on top of the pads we already have there?

A. The wastebeds you're saying?

Q. Right.

A. That is one of the proposals. And one of the most likely or the wastebed that they're looking at first is Wastebed 13. And part of that reason is because that's one that was not entirely filled up. And there is some area that needs to be filled.

But again, there is a lot of detail to

Q&A Raichlin - Lynch

be worked out regarding stability,  
controlling the water and the runoff,  
treating the water and containing the  
sediments. And --

Q. Why couldn't you go over across on the  
Thruway across from the service area over  
there. There is a big area over there that  
they're trying to ruin right now.

A. There is a lot of different areas you  
can look at but there is ownership issues,  
there is accessibility issues and there is a  
whole host of other things. But they did  
look at a wide range of disposal of  
sediments from the dredging activities and  
this is the one that we're going to focus on  
first in the Proposed Plan.

Q. They ought to have more public input  
than they have had so far. Make a lot more  
people have input.

A. As that plan is developed we will.

**DORIE KRAEBEL:** My name is Dorie Kraebel.  
K-R-A-E-B-E-L. I was just wondering, I was  
looking at the charts earlier and it looked  
like you were doing the option four or

## Q&amp;A Kraebel - Lynch

1  
2 around there. And I was wondering how you  
3 decided to stop there. I was looking at the  
4 other charts, it seemed maybe that wasn't  
5 quite deep enough or far enough into the  
6 lake to get everything. So I mean I was  
7 wondering if it was like financial or just  
8 physically unable to do it or what the  
9 reason was for stopping there?

10 DIRECTOR LYNCH: The short answer is  
11 that the number one factor that we  
12 considered in any of the remedies is that it  
13 has to be protective of human health and the  
14 environment. And there are a number of  
15 remedies that had the potential of being  
16 protective of human health and the environ-  
17 ment. But as you went up to different  
18 levels you would see that others are much  
19 more protective and less risky.

20 We basically did a risk assessment and  
21 determination that our proposed remedy,  
22 which is kind of a mix of the 14 outlined in  
23 the Feasibility Study. But our proposed  
24 remedy was the adequate remedy for both a  
25 feasibility standpoint, whether it actually

Q&A Chapman - Lynch

can and will be implemented and most importantly from an environmentally sound standpoint.

DORIE KRAEBEL: Thank you.

DAVE CHAPMAN: I was just curious in the design phase if there is going to be any room for pilot projects to look at proprietary technology that could assist. One of our lab tests showed that we were able to stop wastebed B permeability by 99.88 percent within 600 hours. And as he mentioned binding it up or making sure it doesn't release back into the environment, that they'll be looking at technologies or be a forum for discussing and looking at it and still at the same time still protecting proprietary technology and so forth.

DIRECTOR LYNCH: There is always a potential to pilot projects as part of one of the remedial projects. As a matter of fact one of the pilots in this project is the oxygenation. I would suggest that since it is likely that Honeywell will be the responsible party implementing this plan



## Q&amp;A Arnold

1  
2 that's where you could take your interest.

3 And that is the potential of the state  
4 or federal government doing other work but  
5 the way we address is usually through  
6 existing state contracts as far as who we  
7 hire to do the work. But I think you really  
8 should talk to Honeywell about the potential  
9 of looking at your pilot study or technology.  
10 And certainly if it was proposed to us we do  
11 take a look at it and see if it was  
12 appropriate.

13 Other questions? Dave way in the back.  
14 Could you just go over to the microphone so  
15 everybody can hear your question.

16 **DAVE ARNOLD:** There is a similar project  
17 that's happening, I don't know if it's  
18 completed yet or not down in Albany that  
19 G.E. or you're probably familiar with it,  
20 could you go over some of the problems that  
21 they ran into that might be similar to the  
22 ones that we're going to run into and you  
23 know, kind of give us an idea what we're  
24 looking forward to here.

25 **DIRECTOR LYNCH:** Yep, you're probably

## Q&amp;A Arnold - Lynch

1 referring to the Hudson River dredging  
2 project for the PCBs from the G.E. facility.  
3 And they've run into many questions much  
4 like we're hearing tonight. But they are  
5 not much further along than we are in this  
6 process. They have selected a remedial  
7 design but they haven't started. They  
8 probably started specific design but they  
9 haven't started any actual dredging work at  
10 this point.  
11

12 So if you're asking what problems they  
13 ran into during the dredging that hasn't  
14 been done yet so I really can't answer  
15 those. But I would suggest if you have  
16 specific questions about the G.E. project, I  
17 think we have a number of people that have  
18 been involved or very familiar with that  
19 project and you can talk off line with them  
20 after the meeting. Anymore questions? One  
21 more.

22 **RALPH MARTONE:** I'd just like to know  
23 the resources that are available to this  
24 project. Is it just the one company that's  
25 Honeywell. Are they the only resource in

Q&A Martone - Lynch

1  
2 this to draw on basically? Just one  
3 corporation's problem? Or is it -- how does  
4 the Superfund and the resources of the US  
5 government play into, you know, the clean up?

6 DIRECTOR LYNCH: Any environmental clean  
7 up for hazardous waste pollution, whether at  
8 the state level or federal level is first  
9 approached by attempting to have the  
10 responsible parties, those who cause the  
11 problem clean up the problem to avoid using  
12 public monies to do so.

13 And in this case we have one responsible  
14 party in Honeywell who contributed to the  
15 majority of the contamination in the lake.  
16 Not all of it. We do know that there are  
17 other companies and other operations that  
18 have impacted the lake. But the Superfund  
19 does hold Honeywell responsible for  
20 addressing the entire clean up although they  
21 have certain remedies against other  
22 responsible parties.

23 So from a state perspective we can take  
24 the primary responsible party like Honeywell  
25 and have them do the clean up. They can

Q&A Martone - Lynch

then seek contribution from other responsible parties to pay their collective share towards that clean up. There are state and federal resources involved, reviewing the project and oversight of the project which is also very important.

There is also the cases where you don't have a responsible party stepping forward and doing the work that it can be done with federal or state funds. But the first resort is the responsible parties, then we go from there.

Q. (Martone) Just to extend that same point I heard two billion dollars for the wish list on this project. What about that? What type of clean up would that involve? And I don't know if Honeywell has got two billion but if we needed to go that far would that be possible if that was necessary?

A. (Lynch) I think my presentation gave the real basics and I don't remember off the top of my head but it was the \$2.1 billion proposal was the most expensive alternative

## Q&amp;A Martone - Lynch

1  
2 looked at in the Feasibility Study. And  
3 help me quick with the numbers, dredging -  
4 there you go, dredging over 2,300 acres of  
5 the land, 20 million cubic yards, which is  
6 almost seven times, probably six times what  
7 we're doing now.

8 Q. Wouldn't we like that?

9 A. It's a seventeen year process. Would  
10 involve much disruption to the lake in the  
11 area, much more challenging. The dredging  
12 plan proposed now is very challenging but  
13 this would be very challenging. And you  
14 have the practicality of that amount of  
15 money. Whether in fact you could get  
16 Honeywell or a combination of responsible  
17 parties to actually implement that plan. So  
18 it certainly was considered as part of the  
19 feasibility plan but we determined that our  
20 plan would be more suitable, practical and  
21 still be protective of the environment.

**BY BARRY RAICHLIN:**

22  
23 Q. 240 million is a hell of a discrepancy  
24 between that and 2.1 billion. What's wrong  
25 with that picture?

## Q&amp;A Raichlin - Lynch

1  
2 A. It's six times.

3 Q. I think they're a little short?

4 A. They may be. That is not necessarily  
5 taking every piece of contaminant out of the  
6 bottom of the lake.

7 Q. Here's a government saying this is what  
8 we need. They're saying, okay we'll take  
9 this. We have 40 degrees, a new coach, why  
10 can't we have this too?

11 A. I wish it was as simple as getting a new  
12 coach.

13 **JO ELLEN RAICHLIN:** Trying to get money  
14 out of them.

15 **DIRECTOR LYNCH:** Any other questions?  
16 We will have people sticking around for a  
17 few moments if you want to come up one-on-  
18 one, we have a lot of charts that we have  
19 from our previous availability session.

20 I want to thank everyone for your great  
21 comments, great questions and your input on  
22 the Onondaga Lake cleanup. Have a good  
23 night.

24 \* \* \* \*

25

LYNCH

## C E R T I F I C A T E

This is to certify that I am a  
Certified Shorthand Reporter and Notary  
Public in and for the State of New York,  
that I attended and reported the above  
entitled proceedings, that I have compared  
the foregoing with my original minutes taken  
therein and that it is a true and correct  
transcript thereof and all of the  
proceedings had therein.

  
John F. Drury, CSR, RDR

Dated: January 18, 2005

NEW YORK STATE DEPARTMENT  
OF ENVIRONMENTAL CONSERVATION

In the Matter of

ONONDAGA LAKE PROPOSED REMEDIAL PLAN

Second PUBLIC HEARING (by this reporter) in the  
above matter conducted at the New York State Fair  
Grounds, Art & Home Center Building, Martha Eddy Room on  
**February 16, 2004, 7:00-8:10 p.m.**

MODERATOR:

**KEN LYNCH**, Regional Director NYSDEC, Region 7

ALSO PRESENT:

BOB EDWARDS	NYSDEC, Albany
DON HESLER	NYSDEC, Albany
TIM LARSON	NYSDEC, Albany
TRACY SMITH	NYSDEC, Albany
JIM BURKE	NYSDEC Syr Reg Haz Waste Engr
MARY JANE PEACHEY	NYSDEC, Syracuse Regional Engr
HENRI HAMEL	NYS Dept of Health
ALLEN BURTON	TAMS
HELEN CHERNOFF	TAMS
MARK MOESE	TAMS
BOB MONTIONE	TAMS
KELLY ROBINSON	TAMS
DAVE SCHEUING	TAMS
MICHAEL SPERA	TAMS
JOHN SZELIGOWSKI	TAMS



Dey's Centennial Plaza • 401 S. Salina St., Suite 100 • Syracuse, New York 13202

www.actionreporting.com • e-mail: actiondepo@aol.com

315-428-9311 • Fax: 428-9505 • 800-515-DEPO



Director

1  
2           **DIRECTOR LYNCH:** Good evening everyone,  
3 welcome to our meeting on the proposed  
4 Onondaga Lake Cleanup Plan. My name is Ken  
5 Lynch, I'm the Regional Director for Region  
6 7 of the New York State DEC. And I want to  
7 welcome everyone here tonight and thanks for  
8 coming.

9           Tonight's public meeting is going to  
10 have basically two parts. First of all, I'm  
11 going to provide a very general overview of  
12 the proposed Cleanup Plan, just go through a  
13 presentation, explaining real basic terms  
14 what's in the Plan and what it's all about.

15           After I'm completed with that  
16 presentation I'm going to open up the  
17 meeting to you for two purposes. Number 1  
18 is to have you ask any questions of me and  
19 our DEC staff here tonight about the Plan.  
20 After making the presentation if you have  
21 any questions about details in the Plan  
22 we'll be willing to answer those questions.

23           We're also going to allow people to make  
24 formal public comments for the record. You  
25 do have the option of writing in your

Director

1  
2 comments up until March 1st. But if instead  
3 you would like to make a formal public  
4 comment tonight here at the meeting we will  
5 be taking, we have a stenographer (**court**  
6 **reporter**) here tonight and we'll be taking  
7 your comments also.

8 With that said we'll get right into the  
9 presentation. Whenever we talk about  
10 cleaning up Onondaga Lake we're talking  
11 about a big challenge and a big project.  
12 And basically in real simple terms I  
13 describe the two biggest problems with  
14 Onondaga Lake is, Number 1 being the  
15 wastewater problems associated with the  
16 Onondaga County sewer treatment system and  
17 the combined sewer overflows, and the  
18 industrial waste problem, the hazardous  
19 waste that has entered the lake through many  
20 years of discharges at various industrial  
21 sites.

22 Most of you probably know that the  
23 domestic wastewater issues are currently  
24 being addressed via an agreement with  
25 Onondaga County which requires the county to

Director

1  
2 implement several projects to address the  
3 wastewater issues. I'm proud to report that  
4 the county has just completed two very  
5 significant upgrades to their Metro plant,  
6 addressing most if not all of the issues  
7 related to ammonia and phosphorus being  
8 discharged from that plant.

9 But this meeting tonight is not to talk  
10 about the progress being made on the  
11 wastewater side, the focus of tonight's  
12 meeting is on the industrial waste problems  
13 that have impacted the lake.

14 The Proposed Plan that we're presenting  
15 tonight specifically addresses the lake  
16 bottom itself. The wastes that have been  
17 deposited into the lake and are currently  
18 impacting the lake in the sediments of the  
19 lake.

20 There are also many other wastewater or  
21 sorry, industrial contamination issues  
22 associated with upland sites. And the graph  
23 you see here and also is in your package  
24 demonstrates some of the upland sites that  
25 have impacted the lake. Although they are

Director

all tied into the impact to the lake the Plan itself actually addresses the lake bottom.

Onondaga Lake and some of its surrounding areas, both the state Superfund site and the federal Superfund site, And both the state and federal government have in place processes for reviewing and completing cleanups of these Superfund sites. And there is several steps in that cleanup process.

The first step is the remedial investigation or looking at the problem, investigating the problem, determining what are the contaminants in the lake and what has impacted the Lake. And we completed that very intense study in December of 2002.

The next step in the process is what we call the Feasibility Study. What that really is, is an assessment of a number of different alternatives to clean up the Lake. Once you lay out all the alternatives for cleaning up the Lake the state DEC is required to select a proposed remedy. And

Director

that's what we're talking about tonight.

We presented this Proposed Plan initially on November 29, 2004, and have opened it up to an extended public comment period until March 1st of 2005.

The public comment period includes meetings such as this one tonight. We held two previous meetings here in this room. We have also had several individual meetings with interest groups associated with the Lake, some of the municipalities around the Lake, a number of people who have expressed a desire to learn about this Plan and have more insight on the Plan. That's our state process for opening up the public comment.

There is also a pretty extensive process federal process led by the EPA. And one of the steps in that process is that the EPA has what they call the National Remedy Review Board. It's an independent board within their agency that looks at our Proposed Plan and assesses it. And we met with them last week and we soon will be receiving comments from that Review Board on

Director

our Proposed Plan.

Once the public comment period ends we assemble all the public comments, written and oral, and assess whether or not we need to adjust or amend the Proposed Plan. We're currently scheduled to come up with a final plan on April 1st of this year. And that April 1st date is set by an existing consent decree with the federal court.

Once we have a final decision or a final plan we begin an extended process of actually doing the clean up work. And we are anticipating for this Proposed Plan that the process will start with an extensive design period, a three year period to design the actual activity that will be undertaken to do the clean up. One of the reasons for such an extended period of time is this is not a simple clean up. There is a lot of work to be done. There is a lot of detail in our Proposed Plan, but there is also a lot of detail and engineering that needs to be worked out as we develop the construction process.

Director

Once the entire project is designed we will commence actual construction, dredging activities and other activities associated with the Lake clean up. And we're expecting that that construction activity will last for approximately four years.

As I mentioned, the first step in all this process was our Remedial Investigation. I just want to give you an example of some of the things we did in the first step of the process in looking at the Lake and assessing what has impacted the Lake.

The investigation was undertaken initially by Honeywell Corporation for an extended period of time from 1992 to the year 2000. At that point we felt that additional data was necessary, and the DEC undertook the completion of that investigation in 2001. And as I previously stated the entire investigation report was completed in 2002.

We took over 6,000 samples in and around the Lake. We did a human health risk assessment and a baseline ecological risk

Director

assessment as part of that investigation.

Real basically stated, the investigation results, we found that they're - for the most significant areas of contamination in the southern portion of the Lake; mercury contamination was found throughout the Lake, but most notably in that southern portion and also at the outlet or Nine Mile Creek Delta. We found other contaminants in the Lake like benzene, chlorinated benzenes, PCBs and others. In some areas, specifically again in that southern portion of the Lake, the contaminants were as deep as 25 feet into the sediments.

After collecting all that data we took the next step, and that's assessing a number of different alternatives. And Honeywell performed an assessment of 14 different alternatives, ranging from taking No Action or spending no dollars on the cleanup, to an extensive cleanup of removing over 20 million cubic yards of sediment and doing capping of over 23 acres of the Lake to an estimated cost of \$2.1 billion.



Director

During that process where Honeywell proposed these 14 different alternatives they recommended a preferred alternative of dredging .5 million cubic yards and capping 356 acres in the Lake at a cost of \$243 million.

Once we had the range of alternatives in front of us we assessed those alternatives and came up with the DEC's preferred alternative which we're talking about tonight.

The first step in that process was to establish remedial goals. What do we really want to accomplish when we do this clean up? Those goals basically stated, were to achieve sediment concentrations that are protective of fish and wildlife; to achieve concentrations in fish tissue that are protective of humans and wildlife that consume the fish; and last, to achieve water quality standards in the Lake itself.

We looked at remediation of all areas in the Lake where surface sediments exceeded our established clean up levels. What that

Director

means is after we did that assessment we are predicting that the clean up will entail dredging of an estimated 2.7 million cubic yards of sediment. It also includes capping an estimated 579 acres in the Lake.

During the dredging process as we take material out of the Lake we have to take it someplace. And we are proposing that the most highly contaminant sediments will be taken off-site to a permitted facility either within New York State or somewhere outside the state. Currently it's proposed that the remaining sediments, the less contaminated sediments that will be dredged will be taken up to the wastebed sites in the Town of Camillus.

And we will be reviewing Honeywell's proposal to construct what we call a sediment containment area up on the wastebeds where these sediments will be contained, isolated and protected from entering back into the environment. We will require at a minimum a liner in that system, a leachate collection system and a protective cap to

Director

prevent erosion from and leachate into the containment cells.

Also part of the Plan in the deep areas of the Lake is what we call Oxygenation Pilot Study. It's basically infusion of oxygen in the lower reaches of the Lake to see if that will have any impact on limiting what we call the methylation of mercury into the Lake from the sediments, eliminating the release of mercury into the water column.

Also included in the plan is habitat restoration. What we dig out we're going to replace. Also includes some habitat enhancement. We're not just going to replace in kind what was taken out but we're going to do significant improvement to the habitat in and around the Lake.

Very important to this Plan is the long term monitoring of the Plan itself. To be assured that the Plan is effective and protective of human health and the environment we will establish a very comprehensive monitoring plan of the clean up project.

Director

That includes monitoring the water column, monitoring the cap to make sure its working, if there is a sediment containment area on the wastebeds or somewhere else, monitoring that area to make sure that's protected and there is no leakage. Monitoring the fish, to see the improvements they will be making through the clean up efforts. An extensive look at how effective the remedy is and an extensive look to make sure that things like protective caps are staying protective. The estimated present worth of the DEC's Proposed Plan is \$451 million.

This overview that's in your handout, I apologize it's in black-and-white in your handout but it really gives an overall example of what is proposed for each area of the Lake. Basically we split the Lake into eight different sections. And based on the quantity and quality of contamination in those sections determined a specific remedy for each of those eight sections. In many areas that includes dredging, dredging at

Director

different levels depending on the extent of contamination. And a lot of those areas include capping.

If you want to come up later there is a bigger depiction of this map over there on the poster board, and also if anyone has the Proposed Plan itself, it can also be obtained on our website. That is part of the Proposed Plan where you can view that section of the Lake and what the proposal is for each particular area.

Just a little more about the long term monitoring plan because this is very important to the project. We're going to monitor, like I said, the effectiveness of the various remedy components. Is it working? Is it cleaning up the Lake? We're going to monitor in a very comprehensive manner. Much of the detail will be worked out during that three year design period that I talked about.

But it most likely will include sampling of fish tissue, toxicity testing, sampling of surface water and sediments, sampling of

Director

the cap to make sure it's working, to make sure it's stable; and monitoring the sediments in the Sediment Containment Area in the wastebed or wherever else it goes.

There is a long term what we call O & M or Operation and Maintenance Plan included in any cleanup project. That assures that if fixes need to be made, if there are problems found with the proposed clean up the responsible party will correct those.

Lastly, just a little summary of the whole time frame. As I stated, once we complete this public review process we're required to come up with a final plan by April 1st, 2005. Once that Plan is completed we expect a three year design period. And after that a four year construction period.

Important to note that the actual work to be done in the Lake cannot be done until we first cut off the upland sites. This map here depicts a number of the upland sites that have impacted the Lake. Some of them still impacting the Lake today. Certainly

Director

doesn't make sense to dredge the bottom of the Lake, take out the contaminant sediments if you still have areas upland impacting the Lake.

So prior to actual dredging activity in the Lake we will make sure that the upland sites are no longer impacting the Lake itself. And there is a separate process already underway for many of those upland sites. Some of which are in the clean up phase at this point. Others are design and clean up proposals similar to what we're doing for the Lake bottom itself. But again before we actually start clean up activity in the Lake we will cut off the sources upland from the Lake.

And once again, once the clean up is done and during the clean up there is going to be an extensive long term monitoring program to make sure that everything we've done will be effective, and if not effective we can make the appropriate fixes to the clean up plan.

More information. Many of you probably

Director

1  
2 already know that you can go to our website  
3 and view the Plan itself. I think we  
4 brought some copies of the Plan with us  
5 tonight. We have staff available tonight  
6 either during the question and answer period  
7 or afterwards to talk to you about the  
8 Proposed Plan. You can send in your  
9 comments via our website. You can write in  
10 your comments to those addresses listed.  
11 You can also view the Plan itself at several  
12 depositories like the local libraries. We  
13 have also extended the places where we have  
14 the Plan available. Do we have all those  
15 listed Mary Jane?

16 MARY JANE PEACHY: Yes.

17 DIRECTOR LYNCH: Last time I think we  
18 only had it a couple places and based on the  
19 recommendation at the last meeting we have  
20 extended the area where you can view the  
21 Plan if you can't get it on the website  
22 itself.

23 Again, public comments will be accepted  
24 until March 1st of this year. That con-  
25 cludes my presentation. And we'll move



Director

right into a question and answer comment period. Before we do that I just want to outline some ground rules.

First anyone wishing to speak should first state your name, spell your name because we have a stenographer (**court reporter**) here, and state who you represent and where you're from. We'd ask that everyone limit their questions at least initially to two questions so we make sure everybody gets an opportunity to ask questions.

If you're making a public comment for the record please state that. We won't be responding officially to public comments made tonight. What we do is part of our public comment period. When that's complete, when we put together the final plan we do what we call a formal responsiveness summary, which will summarize all the comments we received and reply to all the issues brought up during the public comment period.

This is a very technical plan. There is

Director

a lot of detail. There may be some very technical questions that we may have to defer to a later point after the meeting. I want to make sure everyone gets an opportunity to ask questions. We can get into some detail and spend an awful lot of time talking about technical issues.

So if we feel that we prefer to go off line and talk to you individually one on one with our experts we'll recommend that. It's not intended to be a debate whether certain aspects of this plan are good or bad. You certainly can make those comments as official public comments. But we don't plan to engage in a debate over alternatives or other parts of the plan whether they work or not. We will explain why we think they're effective and why we selected what we did. But as far as debating alternatives we will respond to anybody's opinion or position regarding those in the formal public responsiveness summary in the final plan.

That being said we're ready to move into public comment. I'll just ask that someone

1 Spvsr Coogan/Council Salanger  
2 raise their hand, I'll call on you. If I  
3 call on you please step up to the mike and  
4 state your name and proceed with your  
5 question or comments. Mary Ann is first.

6 **SUPERVISOR MARY ANN COOGAN:** Jim, come  
7 on up with me. I'm Mary Ann Coogan,  
8 Supervisor for the Town of Camillus. I also  
9 have with me Jim Salanger, he's one of the  
10 council people on the board at the Town of  
11 Camillus. We have a letter we are going to  
12 share reading, it's a little lengthy, so if  
13 you will indulge us, appreciate that. This  
14 will go to the DEC, Mr. Donald Hesler.  
15 "Dear Gentlemen: As the proposed host  
16 community for the dredging from the Onondaga  
17 Lake cleanup, the Town of Camillus has some  
18 concerns which need to be addressed to  
19 insure that no negative impacts will occur  
20 to our community during this cleanup.

21 Some of these issues relate to the  
22 details of the design and operation of the  
23 proposed SCA, on SB 13, part of what is  
24 known as the Allied Wastebeds. We make  
25 these comments now because we are unsure of

1 Spvsr Coogan/Council Salanger  
2 future opportunities to do so. Camillus  
3 requests a review and advisory role as the  
4 project goes forward.

5 Camillus believes that the Department  
6 should revisit the entire issue of the SCA  
7 location. From some of the supporting  
8 materials accompanying the FS, it is obvious  
9 that shoreline and in-the-water locations  
10 for the SCAs have been successfully used for  
11 dredging in the past. The selection process  
12 gave no opportunity to select an in-the-  
13 water SCA because of the goals for no loss  
14 of Lake surface or volume.

15 An SCA location or locations, near or in  
16 the Lake would result in a relatively tiny  
17 loss of Lake surface and volume and it would  
18 eliminate the costs and environmental  
19 concerns associated with the pipeline of  
20 Nine Mile Creek and the new SCA on SB 13.

21 A new upscale subdivision, Golden  
22 Meadows, is being built a short distance  
23 from SB 13 to add to the large number of  
24 people already living in the area. Moving  
25 the SCA to a lakeshore or in the lake

1                   Spvsr Coogan/Council Salanger  
2                   location should save money, decrease  
3                   environmental risk to Town of Camillus  
4                   residents, and provide a means to construct  
5                   space for something useful to the general  
6                   public, such as the marina/boat launch or  
7                   more fairgrounds parking. If time is an  
8                   issue the revisiting of the SCA location  
9                   could be done as part of the design phase."

10                  **COUNCILOR SALANGER:** "A. If the SCA  
11                  ultimately is located in SB 13, the primary  
12                  issue is the proactive prevention of odors  
13                  escaping to receptors in the community. The  
14                  Honeywell FS and the DEC Proposed Plan  
15                  acknowledge the potential for odor releases.  
16                  The details of the odor mitigation plans are  
17                  to be developed during design; some of the  
18                  techniques are discussed. Our suggestions  
19                  are as follows:

20                  Construct a 'Demonstration Size' SCA in  
21                  the part of SB 13 farthest from the  
22                  population center in Amboy. The size should  
23                  be large enough so that it could run long  
24                  enough to thoroughly validate the process  
25                  and make corrections if necessary, at the

1                   Spvsr Coogan/Council Salanger  
2                   greatest possible distance from people's  
3                   homes. We understand that the odors may  
4                   differ depending on the source of the  
5                   dredgings, and that below SCA surface  
6                   discharge and a partial floating cover would  
7                   be employed at a minimum. We also suggest  
8                   that odor control technologies be  
9                   demonstrated in the small SCA for phase when  
10                  the SCA is full and water is completely  
11                  drawn off. That phase may have significant  
12                  potential for odor release as the dredgings  
13                  dewater, and preparations should be made in  
14                  advance.

15                 An agreed-upon protocol should be in  
16                 place prior to operations relative to shut-  
17                 down while corrections are being made if  
18                 problems occur. Camillus does not want to  
19                 be in the position of having to prod DEC or  
20                 Honeywell to react to problems. A mechanism  
21                 needs to be created to get feedback from  
22                 odor receptors to the project team at the  
23                 earliest sign of problems. We suggest an  
24                 'Odor Panel' be created of local homeowners  
25                 who would monitor air quality in their

1                   Spvsr Coogan/Council Salanger  
2 neighborhoods.

3           B. The pumping operation to move the  
4 dredging to SB 13 and out into the SCA has a  
5 potential to generate noise which will be  
6 heard in the adjoining neighborhoods. Noise  
7 modeling should be done to predict noise  
8 impacts and appropriate mitigation should be  
9 included in the project.

10          C. Construction activities on-site have  
11 the potential to create noise and traffic  
12 issues. These issues should be mitigated up  
13 front in so far as possible. One very  
14 significant mitigation technique would be to  
15 use exempt construction and demolition waste  
16 for pre-loading and constructing the SCA  
17 areas. There is a large stockpile of exempt  
18 C&D in the eastern portion of the SB 15 and  
19 some in the western portion of SB 15.  
20 Utilizing these materials for construction  
21 cuts -- for construction, cuts down on  
22 impacts associated with bringing  
23 construction materials to the site but also  
24 will reclaim space in SB 15 for disposal of  
25 non-exempt C&D."

Spvsr Coogan/Council Salanger

1  
2 SUPERVISOR COOGAN: "D. Visual impacts  
3 of the proposed SCA in SB 13 should be an  
4 immediate priority. Viewscape modeling  
5 should be performed to develop a screening  
6 plan to shield the view of the SCA from  
7 nearby residents and passerbys. Screening  
8 techniques could include setting the SCA  
9 boundary inboard as far as possible from the  
10 current outer berms. Planting of vegetation  
11 would need to be initiated soon to be  
12 effective at the time of SCA operation.

13 E. The ability of the existing  
14 structure of SB 13 to carry the load for  
15 additional sediment, water and the weight of  
16 the SCA should be verified immediately. If  
17 the load carrying ability is at all suspect,  
18 after analysis, then a fresh look at where  
19 to put the SCA would be in order.

20 F. Our understanding at this writing is  
21 that there is no consensus between the DEC  
22 and Honeywell on the quantity of dredgings  
23 to come to the SCA, with Honeywell's  
24 proposed quantity to be significantly less.  
25 From the Camillus perspective, less is



1 Spvsr Coogan/Council Salanger

2 better, because of reduced environmental  
3 risks. Could the Department please provide  
4 a 'plain English' explanation why  
5 Honeywell's proposal is not sufficiently  
6 protective of the Lake and its inhabitants?

7 One of the speakers at the January 10th  
8 public hearing made the point that the  
9 assumptions going into the Risk Assessment  
10 are very conservative, thus overstating the  
11 risks and making the remedies in the FS even  
12 more conservative. Let's not dredge more  
13 material than we need to simply because  
14 conservative assumptions are superimposed on  
15 other conservative assumptions. If the real  
16 world risk under Honeywell's proposal is  
17 unacceptable, please explain. Perhaps a  
18 compromise quantity of dredgings would be  
19 agreeable to all.

20 G. Camillus suggests the Citizen's  
21 Panel to play an advisory role in evaluating  
22 final uses of the completed SCA if it is  
23 within the Town. A wide variety of  
24 potential uses are possible and public input  
25 is vital to making appropriate choices.

1 Spvsr Coogan/Council Salanger

2 H. Camillus expects and demands an  
3 effective monitoring system for any SCA  
4 built in Camillus, during construction,  
5 during operation, and post-closure. This  
6 monitoring program should, at a minimum,  
7 include:

8 The aforementioned 'Odor Panel.'

9 Air quality sampling locations with  
10 sample testing and agreed upon protocol for  
11 determining results of concern.

12 Noise monitoring equipment to validate  
13 that activities do not violate the Camillus  
14 noise regulations.

15 Groundwater and surface water quality  
16 monitoring."

17 COUNCILOR SALANGER: "Camillus wants to  
18 be part of the review process for monitoring  
19 data, and to be reimbursed for our expenses  
20 in evaluating the monitoring of data and  
21 responding to it.

22 I. Security of any new facilities to  
23 guard against accidents from snowmobilers,  
24 bikers, and others is a must. Any areas  
25 with open water or other hazards must be

## Raichlin Q&amp;A

fenced.

J. The long term financial capabilities to continue post-closure care, and monitoring must be guaranteed by some form of financial instruments. We must be assured that there is no way that local or county government is saddled with any expenses resulting from the Lake cleanup.

Depending on additional public comment, we may have additional comments prior to March 1st. We thank you for the opportunity to bring these issues to your attention. Very truly yours, Mary Ann Coogan, Camillus Supervisor, and the Camillus Town Board." Thank you.

DIRECTOR LYNCH: Next? Questions, comments? There has got to be someone out there. Yes, sir?

**QUESTIONS BY BARRY RAICHLIN:**

Q. Still haven't - Barry Raichlin, Syracuse, I used to live in Camillus. There is still a discrepancy of \$2.1 billion and \$250 million. What's up?

**(ALL ANSWERS BY DIRECTOR KEN LYNCH)**

## Raichlin Q&amp;A - Lynch

1  
2 A. Well, the \$2.1 billion proposal was the  
3 maximum alternative that was explored.  
4 That's not being examined at this point.  
5 The difference is the state's plan which we  
6 presented tonight of 451 million versus  
7 Honeywell's Proposed Plan of 240 million.

8 In real simple terms the big difference  
9 between those two plans are the extent of  
10 contamination that we take out of the Lake.  
11 The state feels we need to take more of the  
12 contamination that was originally proposed  
13 from Honeywell out of the Lake to have a  
14 protective remedy. That also includes  
15 additional capping in those contaminated  
16 areas and other areas that you may not  
17 dredge.

18 So the big cost difference is the  
19 difference in material that you take out and  
20 the amount of capping that you perform in  
21 the Lake.

22 Q. So who decides after all this goes down,  
23 who decides, one person?

24 A. No, believe me there have been a number  
25 of people that worked on this project, from

## Raichlin Q&amp;A - Lynch

Honeywell's assessment of all the alternatives, from the DEC's review of the project. And that doesn't only include our regional people here in DEC, we have a large staff in Albany reviewing this proposal.

We also engage the state Department of Health, they have been very heavily involved in this project. The state attorney's general office involved from a legal perspective and technical perspective. And we also have as a federal Superfund site EPA and all their experts, the Region II office, Superfund people working on this project assessing it. And as I mentioned, they have a review board internally from all their EPA regions that have looked at this proposal.

So it's a number of people that examined not only all the alternatives but the specific proposal that the state of New York is making today.

Q. Who are the people that said it would be 2.2 billion, who are they? They don't exist?

A. No, Honeywell looked at --

Q. Like having the fox in the hen house

Wenthen - Lynch

with Honeywell?

A. They looked at the alternatives and lined them out for us to look at. We looked at the details of them, decided whether the cost estimates made sense. And more importantly selected the portions of those alternatives that made sense to implement as part of this Proposed Plan.

Q. Yeah, but all they care about is Honeywell, they don't care about us.

A. Well, the state DEC cares about the environment and the people around the environment. And that's the bottom line that we - what we assessed in coming up with all the aspects of this Proposed Plan.

Q. I would bet everyone in Syracuse thinks you're going to dredge the whole Lake.

A. We're not, that's not the proposal.

Q. Exactly.

A. That's the purpose of this meeting and a number of other outreach efforts that we have made since this Proposed Plan has been out there.

**QUESTIONS BY FRED WENTHEN (Fayetteville):**

Wenthen - Lynch

1  
2 Q. My question is what criteria you use to  
3 decide dredging versus capping. I mean if  
4 you cap something, isn't it as effective as  
5 dredging but you don't run the risk of  
6 having to dispose of all this material, and  
7 boil off all of the water in the process of  
8 dredging. What is the advantage of dredging  
9 over capping?

10 A. The number one advantage of dredging is  
11 you can get out the most significant  
12 contamination in the Lake. And regardless  
13 of how effective a cap may be under water  
14 there are a number of variables that you  
15 have to consider when you leave that  
16 material behind.

17 And we have through our very extensive  
18 review process determined a certain level of  
19 material that we want out of that Lake  
20 regardless of whether you cap or not. It  
21 just makes sound environmental protection  
22 and human health protection sense to take  
23 out the most highly contaminated sediments.

24 Realizing that it would be very  
25 difficult to take all of that contamination

Fragnito - Lynch

out, part of the plan also includes capping. And you know there was a lot of examination of alternatives that assessed the different risks associated with leaving different material behind. And that assessment ultimately resulted in our proposal to cap, to dredge 2.7 million cubic yards and cap those areas and other areas in the Lake.

We have a number of people here that worked extensively on that assessment and reviewed the alternatives. I'm sure they'll be willing to talk to you later about some of the analysis that they did to determine at what levels do we take the material out and what levels do we leave it there and cap it?

**QUESTIONS BY JOE FRAGNITO:**

Q. I'm just representing myself. With regards to the sediments on top of the wastebeds, after everything is complete, what is the final outcome of the wastebeds there? Are you going to do any topping of the sediments, put any gravel, or what's the final aspect of the sediments that will be



Fragnito - Lynch

left there?

A. Basically the sediments will be capped with a layer of soil material to protect those sediments from leachate coming from any rainwater in the Lake. It will be graded so that the runoff will, clean runoff will go off and not into the area; much like a landfill area.

But we have more opportunity in the wastebeds because of the large area to grade that sediment containment area in the way that the area can be reused. And that's some of the discussions that Honeywell has had and offered potential reuse for those wastebeds. Because they are basically long used waste areas used way before environmental regulations were in place and were not capped to today's standards.

Any sediment that goes up to those wastebeds will be capped to state-of-the-art today's standards. And the alternative of reuse of those wastebeds will be looked at as part of Honeywell's plan in conversations with the Town of Camillus or

Fragnito - Lynch

others.

Q. Has Honeywell published these reuse possibilities? I mean is there any idea of what you're talking about? What kind of reuse can you use that if you ever got up there for some reason?

A. They have talked generally to certain groups in the public about general uses there. I don't think they have identified one specific use. But some examples that have mentioned recreational uses such as trails, snowmobile trails, they have talked about possibly recreation fields like football fields, lacrosse fields. They have talked about, you know, wilderness area. There are quite a bit of trees already growing on the wastebeds right now and there is a lot of wildlife up there. They have even talked about the potential of economic development in some areas on the wastebeds.

Q. Well, along that line is there any possibility of building on top of that?

A. I think there is. That certainly would need extensive assessment. That's not part

Fragnito - Lynch

of the actual Lake cleanup plan.

Q. I understand that, but what's the final outcome?

A. That could be a final outcome. It could be something that could be assessed.

Q. Someone has to consider how they leave this so that someone in the future many many years from now that there may be some possibility of doing something up there.

What restrictions, you know, will be available and what possible uses could be there. But something that could be able to construct something would be nice even though I won't be around to see it, but.

A. And that's something that can be considered during the design phase. A lot of the detail regarding the sediment containment area on the wastebeds will not only talk about what the actual containment will be, how do you keep things in place and protect the environment, but also what the end use may be.

And we have already met a couple of times out in the Town of Camillus to talk to

McCarthy - Lynch

town representatives and some of the residents out there. And we expect if that proposal moves forward that we will continue a dialogue with the town and its residents. And part of that dialogue will include a discussion of potential end uses on the wastebeds.

MR. FRAGNITO: Sounds good. Thank you.

DIRECTOR LYNCH: Way in the back. Sir?

**QUESTIONS BY JOE MCCARTHY:**

Q. Joe McCarthy, Syracuse, I'm speaking for myself. My question has to do with the upland remedial activities. Basically what does that mean? And is that at that point where, you know, Onondaga County will be addressing, you know, the pollution that they personally put into the Lake?

A. Okay, a couple aspects. The Onondaga County concerns are related to the wastewater treatment issues. And at the beginning of my presentation I mentioned briefly that there is an existing agreement in place that requires the county not only to upgrade its treatment, Metro treatment

McCarthy - Lynch

1  
2 plant but also to address all the CSOs,  
3 combined sewer overflows that are impacting  
4 the Lake. That is done under a separate  
5 agreement, not part of this Cleanup Plan.  
6 But very important to the cleanup of the  
7 Lake. And that work is ongoing and  
8 continuing. And as I mentioned, many of the  
9 significant improvements at the Metro plant  
10 have been completed.

11 The upland sites that are referred to in  
12 my presentation are industrial waste sites;  
13 sites that have discharged hazardous waste  
14 into the environment, in many case along the  
15 west shore here to the Lake. A lot of those  
16 are old Allied sites, now owned by  
17 Honeywell. And each of those sites are in  
18 various stages of the cleanup process. Some  
19 of them we're still doing investigation at,  
20 others we're actually doing cleanup work at  
21 those sites.

22 Q. Clarification for myself. Is that by  
23 the fair grounds then?

24 A. Yes, most of those sites are. But I  
25 will note that there are other upland sites

Pickard - Lynch

that have impacted the Lake that are not Allied or Honeywell sites on the western shore. For example, General Motors up on Ley Creek. They have had historical discharges of PCBs. And GM is addressing cleanup of their site in the impact of Ley Creek.

DIRECTOR LYNCH: Mr. Pickard.

**QUESTIONS BY LEGISLATOR PICKARD:**

Q. Good evening, Terry Pickard, I'm with the Onondaga County Legislature. I actually have a couple of legal questions and I wondered if you might be able to respond to them.

And the first of which is I assume that after this process is over and you hear the public comment and you sit down and talk with Honeywell that there will be some kind of settlement reached between the DEC and Honeywell, if that's possible. I mean we're urging you to do that, to move this process along as quickly as possible. I know the legislature has spoken on this same issue of trying to get, reach a consensus in the

Pickard - Lynch

community to get this process reached and moving as quickly as possible.

But what is the legal mechanism, what happens if an agreement is not reached and the DEC moves forward with the remedy that you promulgated or whatever you do with it. How actually does that work and who would come up with the funding and then ultimately how would you collect the monies to do that?

A. Okay, as you stated, the preferred method is that once a final plan is adopted we would agree with Honeywell for the implementation and we would enter into a legal document, require them to perform that remedy.

If there isn't an agreement, a couple of things could happen. We could proceed in court to attempt to force Honeywell or other responsible parties to undertake the cleanup.

The other option and the quicker option would be for the state and/or federal government to use state Superfund or federal Superfund dollars to actually do the cleanup ourselves, hire our own contractors to do

Pickard - Lynch

the cleanup work.

And if that happens we are required by law then to seek cost recovery, any monies we spend we can pursue responsible parties like Honeywell and other parties that have caused damage to the Lake to recoup our costs that we spent to clean up - to undertake that remedy.

Q. Thank you, can I have one more question?

A. Go ahead.

Q. The other question deals with compensation to the community. By virtue of the fact that the contamination of the Lake, the community has lost the use of this valuable resource for many years. And I understand under the Superfund legislation that there are provisions which allow for the recovery for the loss of that use through natural resource recovery damages. And that the monies that are recovered for that loss can then be used to build enhancement or improvements around the Lake.

When does that enter into the discussions and who does that and who enforces it



Pickard - Lynch

for the community at large here?

A. That's another responsibility of the state of New York and our department. This proposed cleanup plan addresses actually cleaning up the site, getting rid of the contamination, protecting the environment.

The lawsuit that we brought to force this cleanup plan to proceed also included a claim by the state of New York for natural resource damages. The loss of the use of the Lake caused by this contamination.

We are currently undergoing an assessment of what the extent of those damages are. And once we have that assessment completed we will move further in court to collect the extent of those damages.

Now, through that whole process there is always the opportunity to negotiate with Honeywell the extent of what those damages are and how they will correct or pay the community that's been impacted. And if those discussions happen, and I'm hopeful that they will, we will include the local municipality including Onondaga County and

Long (Audubon)

the towns around the Lake.

LEGISLATOR PICKARD: Thank you very much.

**QUESTIONS BY BARRY RAICHLIN Again:**

Q. Does that also include General Motors?

A. Yes, the claim for natural resources damages could also be extended to other responsible parties.

**STATEMENT BY ROBERT LONG:**

My name is Robert Long, L-O-N-G, and I'm representing the Onondaga Audubon Society. Because we have some ideas about reclamation that would bring back some of the very interesting shorebirds that used to occupy the - well, the southwestern shore of the Lake beginning at the Nine Mile Creek and going all the way down to the - really the southwest corner.

Shorebirds in the 1960s, these are shorebirds that are coming back from Canada, the Arctic Circle. And they show up in early July and hang around until September. Fascinating little birds, shorebirds. If people don't know what a shorebird is, think of a killdeer, these are little birds after

Long (Audubon)

you've been to the ocean you see them running along the shores. And over those years, Onondaga Lake really had the reputation in the '60s and '70s of having the best fall shorebird migration variety, even better than Montezuma.

Montezuma now is the only place where you'll see them. What ruined it was the phragmites. Because once the phragmites took hold and just covered the whole area down there the birds had no place. They have to have the sand, and they're sticking their little bills in the sand and picking up small insects and things like that to build up their resources, because some of these birds fly all the way to South America.

They would come back, because they are seen periodically flying over the Lake. And mitigation there would have to be phragmites removal, it's the worst weed. Does everybody know what phragmites is? It's a huge weed with a big tuft on it. If you drive down any Interstate you can see this stuff

Long (Audubon)

growing. Nothing will, no birds will nest in there, no animals can get through it, it gets so thick. That's why actually we lost the birds, we couldn't even get to them too. Mitigation of that.

And the other thing, I don't know whether they allow dogs on the trail. There is going to be a trail around the Lake eventually. There would have to be control of dogs, loose dogs can be, they don't match up well with shorebirds. And many areas of Long Island now are off limits to dogs, while they're trying to save several of the species, they're nesting there actually in the summer.

It does cost much because the phragmites are not easy to get rid of. I don't know if you ever try to cut one down, but believe me it's like cutting a tree down, they grow out quickly. But there are ways to mitigate and Honeywell in their proposal has suggested mitigation. So I - just to put a pitch in for Honeywell.

It could be arranged so we can build one

Glance - Lynch

of these little hides or you know, little structure that you can sit in and watch the birds, because they get very flustered when they see humans. Right along the trail hopefully that will come there and perhaps fence off from each little hide, maybe two of them, one near the outlet of the Nine Mile Creek and another one farther down south there.

That would bring a lot of birders in there, and it would be something that people, if they walk along the little walkways would have something to do. Because we could provide people to be there and explain what they're looking at in the summertime. Just some thoughts. Thank you.

DIRECTOR LYNCH: Thanks for your comments. Any other questions or comments? Yes, ma'am?

**QUESTIONS BY DERETH GLANCE:**

Q. Dereth Glance, Citizens Campaign for the Environment. I want to thank you, Director Lynch, and everyone else, for holding a subsequent public hearing in a question and

Glance - Lynch

answer format; also been responsive to the initial public concerns and questions so far.

I have a couple of questions, I'll stick with my two to begin with. But first of all, when will the public know when the Lake cleanup is done?

A. Well, as I mentioned the Proposed Plan and the Final Plan is going to include an extensive monitoring program and our goals set in the Plan itself.

We will be reporting to the public the progress of the monitoring program and the results of that program, and when we are meeting the goals that we have established in the Plan itself. There will be an ongoing process of monitoring not only this cleanup but there is an existing ongoing process to monitor the county's efforts on the wastewater treatment side.

And we'll be reporting out on a regular basis, in fact the law requires for the hazardous waste site a three year assessment of the Plan to make sure it's working and to

Glance - Lynch

1  
2 see if it is complete. I expect it will be  
3 a very extended period of time for the Lake  
4 to fully recover. But I also expect that  
5 the monitoring program in place and the  
6 assessment of that monitoring program will  
7 allow us to have established when the Lake  
8 has met the goals of our Cleanup Plan.

9 I can't give you a specific answer today  
10 but I'm hopeful that we're going to be able  
11 to report as the cleanup progresses the  
12 progress of the cleanup and how effective  
13 it's going to be. And again, adjustments to  
14 the Plan can be made if we're finding that  
15 certain things aren't being effective.

16 Q. And the second question I have is, now  
17 from my read of the plan, you know, most of  
18 the decisions are going to be made during  
19 the design phase. And so I'm just wondering  
20 if that's - what kind of an opportunity the  
21 public is going to have during the design  
22 phase and if the DEC will create a specific  
23 citizen advisory committee or citizen  
24 advisory group to advise Honeywell and the  
25 DEC on these specific matters as well as

Glance - Lynch

helping improve the transparency of the process?

A. No specific determinations have been made. There are no specific requirements in the law for us to go back during the design phase. I can tell you though that we will.

We have already, as I mentioned had a couple meetings in the Town of Camillus and understandably very important to the Town of Camillus is any proposed design of the sediment containment area.

We will be back in the Town of Camillus talking about that proposal if it comes to fruition. We also will be out to the public in general, whether it be with fact sheets, information on our website or additional public comment periods or establishing citizen participation groups to discuss the proposed plan.

We're fortunate in regards to Onondaga Lake to also have the Onondaga Lake Partnership whose -- one of its primary purposes is to outreach the public to inform them about the overall cleanup efforts; not



Glance - Lynch

just the hazardous waste, not just the county's efforts on the wastewater treatments side. But there is an ongoing effort from that group also to keep the public informed.

We have annual meetings of the progress of the Lake cleanup and the development of design plans for specific areas like the dredging of the Lake.

DERETH GLANCE: Thank you.

DIRECTOR LYNCH: Any other questions or comments? We do have a number of people available and we're willing to stick around to answer any specific one-on-one questions you may have. I'll give you one last chance for a public statement or comment.

Again, you can write in to our office up until March 1st. Those public comments will all be reviewed, given equal weight to the oral comments that were made tonight and in other public sessions. And we will prepare a Comprehensive Responsiveness Summary as part of our Final Plan.

I want to thank you all for attending

Glance - Lynch


and especially thank you for your interest  
in cleaning up Onondaga Lake. Thanks.

(Concluded at 8:05 p.m.)

\* \* \* \*

C E R T I F I C A T E

This is to certify that I am a  
Certified Shorthand Reporter and Notary  
Public in and for the State of New York,  
that I attended and reported the above  
entitled proceedings, that I have compared  
the foregoing with my original minutes taken  
therein and that it is a true and correct  
transcript thereof and all of the  
proceedings had therein.

  
John F. Drury, CSR, RPR

Dated: February 22, 2005