

ORIGINAL

----- X

NYACK GAS PLANT SITE

PROPOSED REMEDIAL ACTION PLAN

PUBLIC MEETING

----- X

Nyack College
Hilltop Auditorium
February 25, 2004

ROCKLAND & ORANGE REPORTING
20 South Main Street
New City, New York 10956
(845) 634-4200

1 Proceedings

2 MR. KNIPPING: Good evening and
3 welcome to our public meeting on the
4 Proposed Remedial Action Plan for
5 Operable Unit 1 of the Nyack
6 Manufactured Gas Plant Site.

7 My name is Mike Knipping. I'm a
8 Citizen Participation Specialist with
9 the New York State D.E.C. My office is
10 up in New Paltz.

11 Joining us tonight to make
12 presentations will be the two project
13 managers for the site. The Project
14 Manager for the D.E.C. is Bill Ottaway,
15 right over there. He'll be carrying the
16 load, basically, this evening. We do
17 also have the Project Manager from the
18 New York State Department of Health
19 here, John Olm, right here in front
20 row. John will be making a brief
21 presentation, and, of course, they'll
22 both be here during the
23 question-and-comment period to answer
24 any comments that you have that they can
25 answer tonight.

1 Proceedings

2 As I said, the purpose of tonight's
3 meeting is to discuss the Proposed
4 Remedial Action Plan. It's very
5 important that we remember it's a
6 proposal. This is not cast in stone.
7 We're required, under the New York State
8 Law, to, when we come up with a
9 proposal, to come to the public with
10 that proposal during a public comment
11 period.

12 To make the public comment period
13 more meaningful for everybody, we're
14 also required to set up a document
15 repository in the area where the project
16 is. So, the public can actually go and
17 look at these documents we'll be
18 discussing tonight. The documents are
19 rather large. So, to go through them
20 all, page-by-page, none of us have that
21 kind of time or patience, but I do want
22 to show you the primary documents that
23 are in the repository now and that will
24 be discussed tonight.

25 We're here for the proposal, but

1 Proceedings

2 the proposal is based on other
3 fundamental documents that have been
4 generated for this site.

5 The first document is called "The
6 Remedial Investigation." That is all
7 the data that's been collected to fully
8 characterize the nature and extent of
9 contamination at the site. Let me show
10 that to you.

11 This is the RI, okay, and this is
12 what is at the repository. It's got all
13 the data, all the tables, everything
14 you'll need to really get an idea what
15 the heck is there. Okay.

16 The second important document is
17 called "Feasibility Study." Once we
18 know what's there, we look at, well, how
19 do we deal with it, what are feasible
20 remedies that would be available to us
21 to address what we find? And the
22 Feasibility Study takes this data and
23 then breaks it down, using the known
24 technologies that are available to us,
25 to come up with alternatives. It's

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Proceedings

feasible to do this, you should try that, you know, and it's sort of ways that we try this, we try that, this is what's feasible to address the contamination that we found. Okay.

The D.E.C. and the Department of Health then takes the data and the feasibility studies and comes up with a proposal based on what we know about the site, based on what the state of technology is, how should we address this issue, and that's the Proposed Remedial Action Plan. That, luckily, is a lot smaller, and that's what we'll be discussing tonight.

This - this is the PRAP, okay, Proposed Remedial Action Plan.

As I said, this is a 30-day comment period. The repository for these documents is your local library. Let me see where that is. Nyack Public Library on South Broadway.

It's very important that you understand the Record of Decision is the

Proceedings

1
2 final decision, not what we're talking
3 about tonight. We cannot come up with a
4 final decision until we have this
5 meeting, until we solicit comments,
6 until we prepare something called "A
7 Responsiveness Summary." That is,
8 actually, added, incorporated into the
9 Record of Decision. It takes all the
10 comments that we've received during the
11 comment period and looks at it in
12 relationship to what we have,
13 originally, proposed.

14 The Record of Decision can be
15 different than this PRAP based on the
16 comments we receive during the comment
17 period and tonight, as well. Okay.

18 When the Record of Decision is,
19 finally, determined and signed, then
20 everybody on the contact list will be
21 receiving a Notice of ROD Availability -
22 ROD, Record of Decision, Availability.
23 And that also will be placed in your
24 local document repository. The notice
25 will just, briefly, say what the

1 Proceedings

2 selected remedy is, or, in this case,
3 there are several different remedies
4 based upon the parts of the property
5 we're dealing with, and, basically, tell
6 you what it is and tell you how to get
7 more information about it by going to
8 the repository and checking out the
9 Record of Decision.

10 Let me see what else is here.

11 It's important for anybody who
12 didn't receive a Fact Sheet from us,
13 make sure your name is on the sign-in
14 sheets cause that's how we update our
15 mailing list to make sure -- and if you
16 just print, that will be really helpful
17 to everybody.

18 Now, since this is a public comment
19 period, we do have a Court Reporter here
20 tonight and if you do have a comment to
21 make and you feel comfortable stating
22 your name, maybe, it would be helpful to
23 spell it out, too, for her so she gets
24 it right. Okay. If you want to be
25 anonymous, you can be anonymous, too.

1 Proceedings

2 It doesn't matter.

3 Since we don't have a printed
4 agenda for you, I'm just going to,
5 basically, tell you I'm here, I've
6 talked about citizen participation and
7 it's essential to the project, and I'll
8 turn the meeting over to Bill Ottaway,
9 our D.E.C. person. He'll go through the
10 Remedial Investigation, briefly, the
11 Feasibility Study, but, basically, he's
12 going to concentrating on the proposal
13 tonight. And this is for OU-1, Operable
14 Unit 1, that stands for what's on the
15 site, the structures, the ground on the
16 site. We're not talking about the river
17 tonight. We're talking about the land,
18 okay, the structures on the land.

19 After Bill is done with his
20 proposal about the PRAP, John Olm will
21 say a few things about how the
22 Department of Health has looked at this
23 PRAP and how they have evaluated it in
24 terms of: Is it protective of public
25 health and the environment?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Proceedings

After that's done, we'll open up the floor for comments.

Now, during the process if you don't understand a slide that's being shown, please, you know, we're a small-enough crowd, just ask the question and we'll clarify some things, but if you do have a substantive comment you want to bring forth tonight, please wait until the end so we can make sure we get it down, properly, okay, and we can attribute it to the right person. If you don't want to be named, remain anonymous.

Also, on your way home tonight, if you think of something brilliant you wanted to say, well, you've got plenty of time to do it, okay, because the comment period ends on March 12th.

So, any time between now and March 12th, you can send your written comments to Bill Ottaway, and his name and address and phone number is in the Fact Sheets that you all, hopefully,

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Proceedings

have received or you could pick up on the way out.

Okay. Without further adieu then, I think I've bored you enough, Bill Ottaway, Project Manager from the D.E.C.

MR. OTTAWAY: Thank you very much.

One thing I would like to add to what Mike was saying is, in addition to the paper copies, the PRAP and the Fact Sheet are available on the Internet. The website for that -- the URL for that website is on the Fact Sheet so if you want to get the information that way. We'll also be posting the ROD on the Internet. That way, you can get it on your computer as opposed to having to go down to the library.

Also, on the Fact Sheet, I believe my E-mail address is on there. So, you can get written comments to me through E-mail, as well.

Okay. I'd like to start off by showing a couple of the pictures Orange and Rockland has provided us of the site

1 Proceedings

2 back when it was operational. I've also
3 got copies of these pictures over on the
4 side, as well as pictures that were
5 taken during the Remedial Investigation
6 so you can see what the site looks like.

7 As you can see, this is a big
8 industrial site. The housekeeping isn't
9 pristine. You can understand how a few
10 things might have slipped through the
11 cracks. The large round structures are
12 the gas holders, right here and here,
13 and the whole point of this operation
14 was to produce gas. This is,
15 functionally, the same as the natural
16 gas you use in your ovens now, but they
17 didn't find the natural gas deposits
18 until the 1940s, 1950s.

19 So, this plant started operating
20 back in 1852.

21 Before 1852, if you wanted to see
22 what you were doing at night, you were
23 using a candle. So, getting a gas plant
24 in your community was a huge deal. All
25 of a sudden, to have light, you could

1 Proceedings

2 turn a switch on the wall and your gas
3 light would come on. Instead of
4 chopping wood, you'd turn on your gas
5 stove.

6 So, you've got to realize how much
7 a part of the modernization process
8 these gas plants were at the time.

9 So, that's one view.

10 This is just a welcome slide.

11 Here is an aerial view of the
12 facility. Actually, I'm going to skip
13 over to the next one.

14 One of the things I wanted to point
15 out on this was this is what we refer to
16 as the jetty area. You can, clearly,
17 see in this slide that that is all
18 man-made. It's an area that has been
19 filled over time and that's relevant to
20 some of the discussion we'll have
21 later.

22 Another thing I wanted to point out
23 is this wall right here. This low area
24 in here - that's what I'm going to refer
25 to as the Lower Terrace. The part above

1 Proceedings

2 that wall is the Upper -- we refer to as
3 the Upper Terrace.

4 Most of the structures associated
5 with the gas plant are on the Upper
6 Terrace. The Lower Terrace has some
7 above-ground tanks, that sort of thing,
8 but not nearly as much as what we have
9 on the Upper Terrace.

10 MEMBER OF THE PUBLIC: Is there two
11 pools?

12 MR. OTTAWAY: Let me see. They're
13 drainage pits. These two? That, I
14 believe that -- where is Bruce?

15 MR. COOLUM: Over here.

16 MR. OTTAWAY: Those are drainage
17 pit areas?

18 MR. COOLUM: Uh-huh.

19 MR. OTTAWAY: Okay. Just wanted to
20 make sure I'm being accurate.

21 So, this is the drainage pit area.
22 That's one of the more heavily
23 contaminated areas of the site.

24 MR. KNIPFING: Bill.

25 MR. OTTAWAY: Yes.

Proceedings

1
2 MEMBER OF THE PUBLIC: When was
3 this picture taken?

4 MR. OTTAWAY: Marybeth, do you know
5 when the picture was taken?

6 MS. McCORMICK: I believe it was
7 around the '50s, '60 -- around the '50s
8 because the plant -- in the 1950s. The
9 plant was demolished in the '60s. So,
10 this was prior to that demolition. I
11 don't have the exact date, but I think
12 it's like - I want to say 1958,
13 somewhere in that time frame.

14 MEMBER OF THE PUBLIC: Thank you.

15 MS. McCORMICK: You're welcome.

16 ANOTHER MEMBER OF THE PUBLIC: So,
17 that drainage was drainage from the gas
18 storage tanks?

19 MR. OTTAWAY: Do you know, more
20 precisely?

21 MR. COOLUM: They're just referred
22 to, on historic figures, as the drainage
23 pits. They're, probably, water and
24 other materials mix with the water from
25 the operations that all went down there,

1 Proceedings

2 collected in those pools.

3 MR. OTTAWAY: One of the -- a lot
4 of hazard -- there are lots of different
5 kinds of hazardous waste sites. The
6 archaeological aspect of these sites
7 makes them, particularly, interesting.
8 As you're investigating them, you're
9 also going back and trying to figure out
10 how the plants operated, what they
11 possibly could have been doing in this
12 one foot location, and every site is
13 unique. I've got some -- some things
14 are interesting, others become horror
15 stories at this point in time, so.

16 Okay. As I said, this plant
17 operated from 1852 until 1965. Not very
18 many physical plants last 100 years.
19 So, that's quite a record right there.

20 This information here, I'm not
21 going to go into detail. Basic,
22 generally, a number of different
23 processes were used to create the gas.
24 They created gas from coal. They also
25 used petroleum products to create gas or

1 Proceedings

2 to augment the gas, and, basically, you
3 can use just about any hydrocarbon to
4 make the manufactured gas. There are
5 whale manufactured gas plants on the
6 coast where they actually took whale oil
7 and turned that into a combustible gas.
8 Up in the northern reaches, there are
9 wood manufacturing gas plants where they
10 were using stumps, that sort of thing,
11 to create the gas.

12 So, it's a very flexible process,
13 and, as I said, it made a huge
14 difference back in the day.

15 The contamination that we're
16 concerned with at this site is coal
17 tar. This is a condensate from the hot
18 gas. So, they produced the gas from any
19 number of operations, it went into the
20 large cylindrical gas holders you saw in
21 the earlier photo, and, as it cooled,
22 the coal tar condensed out of the gas.

23 This is a very complex organic -- a
24 complex of organic chemicals. The
25 chemicals of concern are PAHs,

1 Proceedings

2 Polycyclic Aromatic Hydrocarbons. The
3 member of this family you may have heard
4 about is Benzo(a)pyrene. That's the
5 most toxic of this bunch. They are
6 relatively large molecules. They're
7 not, particularly, soluble. A number of
8 them are suspected human carcinogens.
9 That's why we're concerned with them.

10 The other family of chemicals that
11 we're concerned about here are Benzene,
12 Toluene, Ethylbenzene and Xylene. We
13 refer to these as a group as BTEX
14 compounds. These are more volatile
15 chemicals. They're smaller molecules.
16 They dissolve more readily in water.
17 The PAHs dissolve in water to a degree
18 but not nearly as much as the BTEX
19 compounds.

20 I'm going to try to limit my use of
21 the alphabet soup we use in our office
22 to these two or three phrases because if
23 I use all of the abbreviations we use,
24 no one would understand a word I was
25 saying.

1 Proceedings

2 Because the BTEX compounds are more
3 soluble, that's, primarily, the family
4 of chemicals I'll be talking about when
5 we discuss groundwater contamination.

6 Because the PAHs are relatively
7 more stable, once again, into the
8 ground, they don't dissolve, they don't
9 biodegrade as readily, those are the
10 chemicals we'll be talking about when we
11 discuss the soil contamination.

12 One other thing I would like to
13 talk about is this funny acronym which
14 we pronounce DNAPL, and that's a dense
15 non-aqueous phase liquid. Another way
16 of saying that same thing is product.
17 This is the actual pure coal tar, which
18 is still -- they're in the form of coal
19 tar, and because it's more dense than
20 water, it will drop through the
21 groundwater table until it finds a less
22 permeable layer and then it will start
23 moving, horizontally.

24 So, as I said, those are the
25 chemicals of concern. I'm going to try

1 Proceedings

2 to limit the technojargon to not that
3 much.

4 Mike went, briefly, through the
5 PRAP/ROD process. The Remedial
6 Investigation started in '99, lasted
7 about three years after a relatively
8 quick remedial investigation process.
9 It was a very aggressive process where
10 we went out there on an iterative basis
11 and did a lot of borings, a lot of test
12 pits, and we'll get into, exactly, what
13 those look like a little further on.

14 The Feasibility Study was conducted
15 over 2003 and 2004. We'll, hopefully,
16 get the PRAP and ROD this year, and then
17 we go into the remedial design for
18 2004/2005.

19 Mike talked about this being the
20 final decision. A lot of the really
21 interesting decisions are going to be
22 made during the design process. The
23 very detailed questions about, exactly,
24 how big this is or, exactly, how we're
25 going to go about doing that, things

1 Proceedings

2 like trucking routes, things like that
3 sort of thing, that's going to be taken
4 care of during the design process.

5 So, we're not sitting here today
6 unleashing on you every detail of how
7 this is going to come about.

8 Those -- the design considerations
9 will be talked about over time and there
10 will be opportunity for public
11 involvement while we're making those
12 decisions, as well. And so we,
13 probably, won't be doing any actual
14 cleanup until 2005/2006, sometime in
15 that vicinity of time.

16 Okay. So, during the Remedial
17 Investigation, the primary tools that we
18 used were test pitting, soil borings,
19 monitoring wells and sediment coring.
20 So, these are reproducing fairly well.
21 If you want to take the opportunity to
22 look at the pictures on the table, they
23 look even better.

24 The main reason I wanted to show
25 this picture is this is what most of the

Proceedings

1
2 contamination, it looks like. It's not
3 a matter of where the soil is
4 contaminated. It's just a pool of this
5 black goo. Instead, what we have, it
6 seems like this, which, when you open up
7 the test pit, it runs into the test pit.
8 I think that's important to know that
9 there is a lot of relatively clean soil
10 even in the heavily contaminated areas.

11 Too far away. Here you go. And
12 this is just another slide showing the
13 coal tar coming into one of the test
14 pits.

15 We also did soil borings. This is
16 the auger for the drilling rig. There
17 is a picture of a drilling rig, itself,
18 over there, and the main way that we
19 take samples while we're doing soil
20 borings is this, this is a split spoon,
21 this is two halves of a cylinder. When
22 you put that together, you put the shoe
23 on each end and drive that into the
24 ground and you can bring up an
25 undisturbed soil sample, and, with that

Proceedings

1
2 soil sample, you can see what's in the
3 ground. That's one of the things that
4 people, sometimes, don't appreciate is
5 it is very difficult to see
6 underground. Even in this day of
7 advanced technology, there's no way for
8 us to put on special glasses and look
9 down. You have to go out with these
10 tools, the test pits and the soil
11 borings, and it shows you what's going
12 on in a 2-inch area, and, from that, you
13 have to extrapolate back to try to
14 understand, exactly, what's going on for
15 the site.

16 So, moving on, and here is a soil
17 boring being completed. You can see
18 this is in one of those very heavily
19 contaminated areas and you're actually
20 getting product coming up with the
21 auger.

22 So, at first I was pointing out, in
23 the test pit, you don't have, you know,
24 just a pool of coal tar in the ground,
25 but, with this slide, I wanted to show,

Proceedings

1
2 boy, we do have some areas on this site
3 which have quite a bit of coal tar still
4 there.

5 Okay. One of the other things that
6 we did is sediment coring. This is the
7 coring barge. This Proposed Remedial
8 Action Plan we're presenting today does
9 not address the sediments. The sediment
10 contamination we found was relatively
11 moderate. I think there were a total of
12 three sediment cores which showed a
13 trace of tar. That was in the top
14 couple feet of the sediment. There were
15 somewhat elevated gauge levels. It
16 wasn't something that made us go, oh, my
17 God, we have to go do something now, but
18 it was something where we said, huh,
19 we're going to have to do something,
20 we're going to have to try to figure out
21 which of this contamination is
22 associated with the plant, and, rather
23 than going through that entire process,
24 up-front, we decided to break this into
25 two operable units, and that's going to

1 Proceedings

2 allow us to get working on the land-base
3 sites while we're still trying to figure
4 out what's going on in the sediment.

5 Okay. The nature of the
6 contamination. This -- probably, these
7 numbers, probably, won't mean anything
8 to anybody here, but I threw them up
9 just in case there is someone who is
10 interested in numbers.

11 The interesting thing, the PAH
12 levels of up to 19,000 parts per
13 million, anything over about 500 is a
14 high number. So, 19,000 as opposed to
15 500, yeah, where we have contamination,
16 it's got a lot of PAHs.

17 In the groundwater right near the
18 coal tar, 200 parts per million of
19 BTEX. That's another very big number.
20 The groundwater standards are down in
21 the lower parts per billion.

22 So, right near the contamination,
23 we have very high levels of these
24 contaminants. One of the great things
25 about this site is they don't travel --

Proceedings

1
2 haven't traveled very far. We'll get
3 into that pretty quickly.

4 Now, here is the map showing the
5 extent of contamination. This is the
6 soil contamination. And, at this point,
7 I wish I made that a little darker, but
8 this is the same, basically, the same
9 theory that was in the Fact Sheet and in
10 the PRAP. This is the area of coal tar
11 contamination. There's a lot of
12 information on this map if you went to
13 get further into it, but that's really
14 the take-home point of this map is this
15 is the area where we have coal tar at
16 this site.

17 Now, this is the area where we
18 found significant groundwater
19 contamination. Oddly, it's a much
20 smaller area than we have for the soil
21 contamination. Typically, the
22 groundwater contamination extends out a
23 little bit beyond the coal tar area at
24 these MGP sites, and I've tried, in the
25 next slide, to explain why this is a

Proceedings

1
2 little different, and we'll see if I can
3 pull it off.

4 So, this is a cross-section of the
5 site. I'm, probably, going to lose
6 three-quarters of you, so bear with me.

7 This green area is where we have
8 coal tar. The blue line is where the
9 groundwater is.

10 So, all the coal tar is above the
11 groundwater is enclosed in groundwater
12 contamination, and this area out here is
13 that jetty area that I was pointing out
14 earlier in the old photos. That's a lot
15 of coarse fill material. There's a lot
16 of river water coming through that.

17 Now, I don't know whether it's
18 because the river water has been
19 flushing through there enough that
20 there's not much left for it to move or
21 whether there's such a flux through
22 there that the groundwater contamination
23 is incredibly diluted, but, for some
24 reason, this area in here with the
25 coarse fill material doesn't show a lot

1 Proceedings

2 of groundwater contamination.

3 So, the groundwater contamination
4 is, primarily, limited to these areas in
5 the bedrock where the coal tar has
6 reached down into the rock area. The
7 rock being this brown line.

8 Like I said, if I lost you, it's
9 not your fault. That was a stretch
10 slide.

11 Okay. Now, we're going to get into
12 the Feasibility Study. All that
13 information was regarding the Remedial
14 Investigation.

15 What we do, we assemble potential
16 tools for remediation, look at the
17 entire universe of different ways people
18 do clean up the site, figure out which
19 ones are appropriate to use on the
20 manufactured gas plant sites. Then, we
21 start combining those tools into
22 remedial alternatives.

23 As you'll see in the final remedy,
24 we're using a number of different
25 tools. Not every tool is right for

1 Proceedings

2 every situation.

3 So, we want to use -- we want to be
4 as flexible as possible to use this
5 variety of tools to clean up the site as
6 efficiently, as effectively as
7 possible. And, at the end, the real
8 meat of the Feasibility Study is the
9 comparison of the alternatives, so.

10 Okay. This is just a list of
11 remedial technologies we looked at, and
12 I'll be going through each of them.

13 Here is a picture of excavation
14 taking place at a manufactured gas plant
15 site in Syracuse, I believe.

16 As you can see, conventional
17 excavation, great big backhoe, big dump
18 trucks. This is a large hole that
19 they're making.

20 We also have excavation taking
21 place along the Hudson River. This is
22 up near Troy.

23 And here is another site where
24 they're doing a portion of excavation
25 around the structures. Sometimes, when

Proceedings

1
2 you're excavating the structures, you
3 find actual pure tar held inside the
4 structures.

5 In that case, bring it back in
6 trucks, suck the pure tar out, but, you
7 know, you will be finding structures
8 still there at these sites.

9 This is another picture. This is
10 from Orange and Rockland's Haverstraw
11 Site, which they, recently, cleaned up
12 with excavation. And what we have here
13 is a temporary structure. They use this
14 to control odors, to control vapors.
15 It's not something that's required on
16 these sites, but it is something which
17 can, very effectively, control the
18 amount of -- control how much the site
19 impacts the neighborhood.

20 At this point, Orange and Rockland
21 is intending to use a temporary
22 structure during the excavation portion
23 of this project, too. Again, that's not
24 something that's necessarily required.
25 There are advantages to using it in

Proceedings

1
2 terms of how effectively you can control
3 some of the aspects of the project.

4 So, I wanted to show, basically,
5 what, you know, that temporary structure
6 looked like.

7 Okay. One of the things -- the
8 next item, other than excavation, we
9 wanted to look at was in-situ
10 solidification, and this is, basically,
11 taking a big auger, mixing the dirt up
12 with some cement and creating a monolith
13 under the ground. This would be very
14 low permeability. You would not have
15 the contaminant moving from this
16 monolith. You wouldn't have it leaching
17 into groundwater. It's a containment
18 option. It's mixed with a -- you would
19 -- one of the things, one, it's an
20 in-situ remedy, which means we're just
21 treating the soil in place. We would be
22 shipping in some cement, about
23 10 percent by weight, and you would also
24 have to do some excavation associated
25 with this technology.

Proceedings

1
2 As you're driving the auger down
3 into the ground, if there's a big
4 building down there or large rocks, it's
5 not going to work very well.

6 So, you have to take that big
7 backhoe we saw in the earlier picture
8 and clear the obstructions.

9 And the green on this slide, this
10 is the slope area between where we have
11 a lot of debris. These are structures
12 in the Upper Terrace, and here are the
13 drainage. Here's the drainage pit
14 area.

15 So, as you can see, in the Lower
16 Terrace, there really aren't very many
17 structures that we're looking to clear.

18 In the Upper Terrace, there are a
19 lot of structures up there, a lot of
20 clearing that we have to do in order to
21 use in-situ solidification in the Upper
22 Terrace.

23 This is just one of the many kinds
24 of units that does in-situ
25 solidification.

1 Proceedings

2 In this case, we're calling it deep
3 soil mixing. It's the same thing.
4 Sometimes, it's a single auger. In this
5 case, it's multiple augers. It is a
6 very large piece of construction
7 equipment.

8 And here is a close-up of the auger
9 flights, and these augers mix the dirt
10 up and they add the cement to it as it's
11 being mixed up, and, as I said, you end
12 up with, basically, this big old
13 monolith sitting in the ground.

14 Ex-situ solidification is another
15 thing we thought about.

16 In this case, you dig the soil up,
17 mix it with cement outside the ground
18 and then put it into forms. Nothing
19 particularly difficult to understand
20 about that.

21 Chemical oxidation is another one
22 of the more challenging technologies to
23 think about. Oxidation - there are a
24 number of chemical oxidants out there,
25 ozone ferrimagnets, and these chemicals

Proceedings

1
2 can, permanently, destroy the chemicals
3 of concern that we're looking at on this
4 site. It's cost-effective. In the lab,
5 it works great. You put these two, the
6 coal tar and the oxidants together and,
7 boom, you're left with nothing but, you
8 know, carbon and oxygen. The challenge
9 is to deliver the oxidants to the
10 contamination, get it down into the
11 ground and put it in contact with the
12 contamination long enough for it to do
13 its job.

14 In order to do this, you have to
15 establish hydraulic control over the
16 site, make sure that treatment chemical
17 is down there, staying in contact,
18 working on the contamination.

19 And one of the other things is that
20 it's more effective on some tars than
21 others. So, in order to do this, you
22 would have to collect a sample of tar
23 and see how it works in the lab.

24 Pump and treat - that's a way to
25 treat groundwater. Very simple, pump

1 Proceedings

2 the water up, clean it up, discharge
3 it. It's a proven technology, but it
4 takes a long time and it's expensive,
5 but it is something that does work.

6 And enhanced bioremediation - this
7 is something that most sites have some
8 biological bioremediation component to
9 them. Right now, bioremediation is
10 keeping the BTEX compounds in control at
11 the site. Over the decades that that
12 contamination has been in the ground,
13 there's been a huge population of
14 bacteria growing up around that
15 contamination. Those bacteria use these
16 chemicals as a carbon source,
17 especially, the BTEX, bugs love eating
18 BTEX.

19 So, we have a very large, very
20 healthy biological community around this
21 contamination. It's one of the reasons
22 that we don't tend to have a large
23 groundwater plume running off of our
24 manufactured gas plant sites because we
25 have such a well-established biological

Proceedings

community.

Enhanced bioremediation is just helping bugs help bugs. Typically, it involves adding some oxygen or making it an oxygen-core environment for the anaerobic bacteria, giving the bacteria a better environment to do their job.

Okay. This is the selection criteria. I'm going not going to go through these in detail. They're on your handout.

What I wanted to highlight here is that all of the remedies we look at have to be protective of human health and the environment and they have to comply with New York State standards, guidelines -- criterias and guidelines, SCGs.

So, as we're comparing the remedies, we've already -- we know that we've met these primary criteria, and these are the other criteria that we use to differentiate between the four or five acceptable alternatives.

Okay. On the Upper Terrace, we are

1 Proceedings

2 proposing to excavate contamination down
3 to bedrock. The presence of the
4 structures that I talked about, earlier,
5 would require us to do substantial
6 excavation here regardless of what
7 alternative we selected. Regardless of
8 what else we were going to do up in the
9 Upper Terrace, we would have to remove
10 those structures and the gross
11 contamination associated with them.

12 On the Upper Terrace, once we've
13 done that, we're halfway home on the
14 excavation.

15 All of the alternatives we look at
16 for the Upper Terrace had similar
17 costs. They would have met the cleanup
18 goals. The excavation is great because,
19 once you've excavated, you know it's
20 gone. There's no uncertainty.

21 As you're digging, you can see that
22 you've reached your clean soil beyond
23 contamination. There's just a great
24 level of certainty with excavation.

25 Yes.

1 Proceedings

2 MEMBER OF THE PUBLIC: Where does
3 the excavated material go?

4 MR. OTTAWAY: We would be sending
5 the excavated material off-site to a
6 licensed treatment or disposal
7 facility. Most of coal tar contaminated
8 soil we see generated goes to low
9 temperature thermal absorption units.
10 This, basically, cooks the dirt, drives
11 the organic chemicals off. Those
12 chemicals are then collected and
13 treated.

14 So, that's, particularly, the
15 debris. The large stones, the
16 structural material, those would have to
17 go to a landfill more type of place, but
18 the actual dirt would most likely go to
19 a low thermal absorption unit.

20 MEMBER OF THE PUBLIC: Who is the
21 "we" doing this?

22 MR. OTTAWAY: Orange and Rockland.
23 Orange and Rockland is doing -- Orange
24 and Rockland --

25 MEMBER OF THE PUBLIC: They own the

Proceedings

1
2 property?

3 MR. OTTAWAY: Yeah. Well, no.
4 That's a great question, and I,
5 probably, should have added that early
6 on in the presentation.

7 Orange and Rockland inherited the
8 environmental liability for this site
9 because, as the gas industry
10 consolidated, where, once, you had
11 thirty different gas companies or thirty
12 different gas plants throughout this
13 area, finally, they all consolidated,
14 shut down the small plants, made big
15 plants bigger and what you were left
16 with was one great big company, and
17 then, when the natural gas pipe lines
18 came in, those same companies used their
19 distribution system to distribute the
20 natural gas. That's how Orange and
21 Rockland inherited the environmental
22 liability for this site.

23 The site is, currently, owned by
24 Presidential, and Orange and Rockland is
25 paying for the remedial investigation,

Proceedings

1
2 feasibility and the cleanup to satisfy
3 their environmental liability.

4 MEMBER OF THE PUBLIC: There's
5 contamination on the lot just next to
6 this.

7 MR. OTTAWAY: I'll get to that as
8 we get into the third or fourth slide
9 here.

10 Lower Terrace - we are planning on
11 using the in-situ solidification on the
12 Lower Terrace. As I was saying as we
13 came through, there are less
14 obstructions down here. Also, we're
15 right on the Hudson River in the Lower
16 Terrace. Groundwater is very close to
17 the surface. That presents some
18 definite difficulties in excavation,
19 making the excavations more difficult,
20 more expensive and taking a longer
21 time.

22 The in-situ solidification is going
23 to take less time. It's going to be
24 less of a disturbance to the community.

25 And one of the other things I

Proceedings

1
2 wanted to mention on this slide is we
3 looked at chemical oxidation of the
4 actual source area for the Lower
5 Terrace. This, actually, would have
6 been a little cheaper, probably, would
7 have worked out pretty well, but it
8 would have been difficult to establish
9 hydraulic control and to show
10 effectiveness.

11 As I said, earlier, that jetty area
12 is made up of very porous fill
13 material. You have a lot of groundwater
14 flow through there and we just did not
15 feel comfortable with the idea of
16 putting a lot of chemicals into that
17 area. We weren't confident that we
18 would be able to control that.

19 So, that's one of the reasons that
20 we were -- our slide is looking at
21 in-situ solidification instead of the
22 chemical oxidation, just have a higher
23 confidence level that that will be
24 effective.

25 MEMBER OF THE PUBLIC: What would

Proceedings

1
2 happen if you couldn't control it?

3 MR. OTTAWAY: Honestly, you would
4 be releasing a lot of oxygen into the
5 Hudson River. That's, probably, what
6 the downside is. That's not much of a
7 downside.

8 Chemical oxidation is something --
9 well, actually, let me move onto the
10 next slide. We are using chemical
11 oxidation over on the Hudson Vista
12 property. This is a smaller area. It's
13 an area we feel that we can control the
14 oxidation process over on this area.
15 It's cost-effective. It has, as I said,
16 earlier, it has less short-term impacts
17 to the community. You won't even notice
18 that we're there.

19 During the design, we have to
20 demonstrate all of these things. Is
21 this a treatable tar? Is this tar
22 amenable to it being destroyed by these
23 chemicals? And, if so, which chemicals
24 are most effective? Can we deliver the
25 chemical to the tar? Can we keep the

Proceedings

1
2 chemical in contact with the tar long
3 enough for it to be effective? And we
4 also have to figure out how to measure
5 success as we're -- you can dump the
6 chemical down in the ground, but, after
7 we're done, we have to come back and
8 prove to you, Orange and Rockland has to
9 prove to us that it did what it was
10 supposed to do.

11 So, those are the challenges ahead
12 of us and I'm very confident that these
13 are completely surmountable challenges.
14 It's going to be an interesting project,
15 but it's not -- I don't expect these to
16 stop a project. If something does get
17 in the way of using chemical oxidation,
18 we would propose to use the in-situ
19 solidification on this area - exactly,
20 the same as we're using on the area to
21 the north on the Lower Terrace.

22 Finally --

23 MEMBER OF THE PUBLIC: The Lower
24 Terrace - is that where the pools are
25 with the tar in it?

Proceedings

1
2 MR. OTTAWAY: Yes. Right. That
3 area closest to the Hudson River.

4 MEMBER OF THE PUBLIC: Where all
5 that gooey tar is?

6 MR. OTTAWAY: We would be
7 eliminating that gooey tar before we did
8 the in-situ solidification. We would be
9 removing the structures and all the
10 grossly contaminated material associated
11 with the structures.

12 As I said, the Lower Terrace, the
13 groundwater is very shallow. We are
14 going to be working against the Hudson
15 River as we're excavating down there.
16 If there are areas where we just can't,
17 effectively, excavate down there, we
18 would also look at using wells, you
19 know, some -- trying to -- what we would
20 refer to that as, it's a NAPL
21 collection, putting wells or trenches
22 down there, pumping systems, to extract
23 the actual product, the actual coal tar,
24 without having to do the excavation, but
25 it would be some combination of the

1 Proceedings

2 excavation and a NAPL extraction to
3 remove the heaviest contamination from
4 those areas.

5 MEMBER OF THE PUBLIC: And what is
6 it you're going to solidify?

7 MR. OTTAWAY: Well, remember the
8 pictures of the test pits where we had
9 stringers and coal tar coming into the
10 site? That's the sort of material that
11 we would be solidifying.

12 As the auger is -- and, as I was
13 showing that slide, I was pointing out
14 we have this 2-inch thick seam of coal
15 tar coming into the excavation, but we
16 also have these 4 feet of clean soil in
17 between our layers of coal tar. The
18 augers would mix that all together and
19 add the concrete. We're not allowed to
20 mix the dirt up and say, hey, look,
21 we've diluted it, it's not a problem
22 anymore, not allowed to do that, but we
23 are allowed to take advantage of the
24 mixing process during this
25 solidification to decrease the

Proceedings

1
2 concentration of that contamination in
3 any area of that monolith.

4 MEMBER OF THE PUBLIC: If you're
5 going to be doing that and mixing it all
6 up, why don't you just remove it?

7 MR. OTTAWAY: Because it costs more
8 money. Because it's, as a mixed-up
9 monolith, it's not -- it's creating this
10 mixed-up monolith meets the remedial
11 goals. It eliminates -- well, actually,
12 let me get -- that's more of a
13 discussion. I'm going to leave that for
14 the question-answer period so I can get
15 through the rest of this presentation,
16 but let's try and make sure that we
17 address that question first in the
18 question-and-answer period.

19 We're still on this bedrock. The
20 tar that has made it into the bedrock
21 is, probably, the most challenging
22 aspect of this cleanup.

23 As I talked about for the Lower
24 Terrace and the very heavily
25 contaminated material, we would be going

Proceedings

1
2 in and pumping out the coal tar that's
3 readily mobile.

4 After we extracted all the coal tar
5 that we can that way, we would be
6 putting a chemical oxidant into the
7 bedrock, pumping it through the
8 fractures, putting it in contact with
9 coal tar to destroy that contamination
10 that way.

11 Really, we're looking at two
12 questions -- yup.

13 MEMBER OF THE PUBLIC: Sorry. Is
14 this limited to the Upper Terrace or --

15 MR. OTTAWAY: No. Both, Upper and
16 Lower Terrace, gets bedrock
17 contamination.

18 MEMBER OF THE PUBLIC: Okay.

19 MR. OTTAWAY: I forget my train of
20 thought here.

21 As we are comparing alternatives,
22 the chemical oxidation was equally
23 effective as pressure-grouting, but it
24 was much more cost-effective than the
25 pressure-grouting.

1 Proceedings

2 The chemical oxidation was also
3 much -- worked much more quickly than
4 the pump-and-treat or the enhanced
5 bioremediation.

6 We're looking at 20, 30 years,
7 sometimes, for pump-treat systems to be
8 effective. If we can clean up a site in
9 one or two or three years, instead,
10 that's, definitely, preferable.

11 And the western parcel is also
12 described. This is an at-grade
13 distribution holder that was across the
14 street. We did some investigation over
15 there, did not find any contamination
16 associated with it. We are going to be
17 following that up with some additional
18 investigation in the spring. If we do
19 find some low levels of contamination
20 over there, we may have to have a deed
21 restriction or a site management plan,
22 that sort of thing.

23 At this point, based on the results
24 we've seen so far, we don't anticipate
25 any cleanup work to be needed over there

1 Proceedings

2 and we don't need any restrictions on
3 the future use of that property.

4 Okay. This is, primarily, Slide 4,
5 you know, to be included in the
6 handout. It lists all the costs
7 associated with the cleanups.

8 As you can see, we are looking at
9 some relatively large numbers - 8, 6,
10 10 million dollars. That's for the soil
11 alternatives, and, again, you know, 5,
12 6, 7, 4 million dollars for the
13 groundwater alternatives. This is a
14 major project and it's going to take
15 some doing.

16 Here is a picture showing an
17 overview of the Upper Terrace where the
18 excavation is going to take place, the
19 Lower Terrace where we'll be using the
20 in-situ solidification. The Hudson
21 Vista Associates property, the small
22 area coming off-site where we're going
23 to be using the in-situ chemical
24 oxidation, and the parcel over here
25 where the depreciable was.

Proceedings

1
2 MEMBER OF THE PUBLIC: I'm a little
3 confused on this slide. Does that
4 relate to -- excavation relates to the
5 soil. Solidification relates to the
6 soil, but what about groundwater in
7 those areas? You're doing in-situ
8 oxidation.

9 MR. OTTAWAY: Okay. I think I'm
10 going to have to -- yeah, I'm going to
11 have to -- actually, I'm going to hold
12 off on that question for the
13 question-and-answer period. I'll have
14 to go back to an earlier slide.

15 At this point, I'd like to invite
16 John Olm up to give his presentation.

17 MR. OLM: Thank you, Bill.

18 I'm very pleased to be here tonight
19 and I serve as the Department of
20 Health's Project Manager for this site.
21 I work out of Troy, for the Bureau of
22 Environmental Exposure Investigation.

23 And a couple of slides I want to
24 run through here just to kind of get you
25 familiar with how the Department of

Proceedings

1
2 Health interfaces with the D.E.C. in the
3 investigation and then eventual cleanup
4 of these type of sites.

5 Three points I want to touch on
6 tonight, the first being: What is the
7 Department of Health's role in the
8 process?

9 As many of you don't know this,
10 but, in New York State, the Department
11 of Health does have a Memorandum of
12 Understanding with the D.E.C. for the
13 investigation and cleanup of inactive
14 hazardous waste disposal sites.

15 From listening to Bill and from an
16 environmental standpoint, this is a very
17 complex site.

18 In terms of public health, I'm
19 happy to inform you that it's a
20 relatively simplistic site, and what
21 I'll attempt to do is just work you
22 through what we term "a community
23 exposure assessment" to allow you to see
24 how we derive our conclusions,
25 considering public health, what the site

1 Proceedings

2 means in terms of public health, and,
3 when things need to be done to mitigate
4 exposures, how do we interface with
5 D.E.C. to do that?

6 And then, at the end, I will just
7 provide some outreach information so
8 that if you have questions, public
9 health concerns, following the meeting,
10 you can contact me. We have a toll free
11 number and, for those of you who want to
12 do it, electronically, I can provide you
13 with my E-mail address, also.

14 As I mentioned, the Department of
15 Health has a partnership with the D.E.C.
16 in this State's Inactive Hazardous Waste
17 Disposal Program.

18 Back when this facility was
19 operating in the 1800s, obviously,
20 public health had many other concerns
21 other than hazardous waste. Hazardous
22 waste wasn't even a term in the
23 encyclopedia yet. Love Canal wasn't
24 even a Love Canal yet.

25 So, as you can imagine, public

Proceedings

1
2 health has evolved over time and we,
3 too, have evolved over time with D.E.C.
4 and we get involved early on in the
5 process.

6 Our role, primarily, and principle
7 is to serve in advisory capacity to the
8 D.E.C. and in matters of public health,
9 particularly. And what we are tasked
10 with early on is to ensure that all of
11 the site investigations and, eventually,
12 the remedies are going to be protective
13 of public health. And there's a
14 systematic approach that we use to
15 accomplish this. We get involved early
16 on in the process when work plans are
17 developed for investigation of these
18 types of sites. We receive a copy of
19 that report. We review that report,
20 provide input back to D.E.C. That input
21 goes back to the responsible party, and
22 we end up getting revisions of reports,
23 making determinations whether those
24 recommendations have been entrained in
25 the report, and so we work through

Proceedings

1
2 this. It's a continuous process. It's
3 a living process that we, basically, get
4 involved in from cradle to grave with
5 these type of sites.

6 So, once we receive a work plan,
7 we'll input it, provide that to D.E.C.,
8 and, once the investigation is
9 conducted, the investigation report is
10 prepared, a copy comes to the Department
11 of Health. A project manager would
12 review that, provide recommendations,
13 input. Another revision comes back.
14 Typically, we want to ensure that
15 there's enough data collected as a
16 result of that investigation that we can
17 render some decisions whether we feel
18 all the media -- when I say media, the
19 soil, groundwater, air, surface water,
20 sediment has been investigated,
21 satisfactorily. We want to be able to
22 render some decisions based on what
23 environmental data has been generated,
24 and, typically, these investigations
25 will produce a significant pool of data

1 Proceedings

2 that we can pull from and evaluate what
3 we consider potential exposure to the
4 community.

5 And we're on the community's side
6 when it comes to the investigation of
7 these sites. We want to consider how
8 the community interacts, interfaces with
9 these types of sites. Many times, these
10 sites were in place before a community
11 was there, and, in other instances, a
12 community was there and these sites were
13 put in after the community was formed,
14 and, sometimes, they just came together
15 at the same time, but we have to
16 consider practical ways that these sites
17 can effect people, their health, their
18 liveliness and there's a systematic way
19 that we do that, and this is what I'll
20 get into with the next slide.

21 The term that we use is "community
22 exposure assessment," and it's really a
23 two-step process. It has several
24 components to it.

25 The first part of that or first

Proceedings

1
2 step of the process is what I term
3 "hazard identification," and this is
4 where we pull, from the investigation,
5 all the environmental data, soil, the
6 groundwater. We evaluate that data and
7 make some decisions as far as what is
8 the contamination? Is there a source of
9 contamination still present?

10 From that data, we can make
11 determinations as far as toxicity of the
12 chemicals, the mobility of the
13 chemicals, its persistence in the
14 environment, and then render some
15 decisions as far as what does that mean
16 in terms of how can that effect the
17 surrounding community? And, ultimately,
18 what we look at is this five-component
19 strategy that we call "The Assessment."
20 The community exposure assessment will
21 first identify a source of contamination
22 in the environment.

23 In the case of this particular
24 site, we know that there's a source of
25 contamination. It's this manufactured

Proceedings

1
2 gas plant waste material, tar, the
3 DNAPL, all the terms that Bill used.
4 And, once we identify a source, we have
5 to identify, well, where is that
6 contamination? And we know that there's
7 soil contamination, we know that there's
8 groundwater contamination and we have to
9 make some decisions based on that as far
10 as how do people interact with those
11 contaminated media?

12 So, what we'll look at is the point
13 of exposure.

14 In this case, the site is divided
15 into an Eastern Parcel and Western
16 Parcel, and, from what Bill told you,
17 the investigation that was conducted on
18 the Western Parcel, which, currently, is
19 just a parking lot, has been very
20 minimal and, from what we can see, we
21 don't believe there's going to be a need
22 to do any remedy on that side.

23 So, we are considering and focusing
24 most of our exposure assessment on the
25 Eastern Parcel, the riverside of Gedney

Proceedings

1
2 Street, and, as Bill informed you,
3 there's a significant area of
4 contamination, primarily, the soils in
5 the groundwater.

6 When I say soils, one of the things
7 that we look at is surface soil, first
8 couple of inches underground. Then we,
9 also, consider what is the realm of
10 contamination in subsurface soils being
11 much deeper? Because the way someone
12 can be exposed to that contamination can
13 vary, significantly, from whether it's
14 surface soil contamination or
15 subsurface, and, from what we have
16 evaluated, there's very minimal surface
17 soil contamination. In most of this
18 site, particularly, up towards Gedney
19 Street, it's very well vegetated, and
20 I'll get into that a little bit later on
21 how we can sort of focus our assessment
22 and identify who in the community is
23 most effected.

24 So, once we have identified the
25 point of exposure, what we need to

Proceedings

1
2 consider is what are the relevant groups
3 of exposure? Inhalation, direct
4 contact, ingestion - these are terms
5 that we use in this assessment process.
6 And what we have broken it down to --
7 obviously, we know that there's soil
8 contamination, we want to determine
9 whether there's a chance that someone
10 could contact that soil, directly, by
11 touching it.

12 And, fortunately, the site is
13 fenced on, at least, three sides and
14 that goes a long way into limiting
15 access to the parcel. Trespassing can
16 still occur, obviously, but it does tend
17 to limit access and limit trespassing on
18 the parcel.

19 The other pathway that we
20 considered is groundwater ingestion.

21 Fortunately, in the case of this
22 site, there are no private wells in
23 usage. Groundwater is traveling
24 straight towards the Hudson River.
25 There are no wells. Obviously, the

Proceedings

1
2 whole community here is served by public
3 water.

4 So, in terms of groundwater, we can
5 eliminate that particular media as far
6 as the exposure pathway.

7 One exposure pathway that we will
8 evaluate -- right now, it's not a
9 pathway that renders a concern, it
10 involves contaminated soil gas.

11 Just to make it sort of
12 understandable, soil gas -- we have a
13 column of soil above groundwater that's
14 contaminated with VOCs, volatile organic
15 compounds. These chemicals can,
16 sometimes, volatilize off and travel
17 through the soil in the form of vapors,
18 and, when it becomes a concern is when
19 we have structures that are built on top
20 of sources of this type of
21 contamination. And I believe there have
22 been instances when these vapors will
23 somehow find their way into basements
24 and effect indoor air quality. We're
25 going to be considering that later on

Proceedings

1
2 down the road. When this site is
3 redeveloped, we're going to ensure that
4 there are engineering controls in place
5 because there may be residual
6 contamination that exists on this parcel
7 and we want to ensure that that residual
8 contamination is not going to be
9 released in the form of vapors, find its
10 way into basements or in through
11 foundations where it could effect the
12 air quality, and there are engineering
13 controls that can be put into place to
14 prevent that from occurring. So, that
15 is something we've considered. We
16 already put language into the Proposed
17 Remedial Action Plan. So, that will be
18 addressed when the time comes.

19 The last part is: Who is effected
20 in this community? We have, based on
21 our evaluation, determined that
22 residents in the community are not
23 effected whatsoever.

24 What we are considering is the
25 potential that trespassers could be

Proceedings

1
2 exposed if they are on-site. We expect
3 that any exposure would be very minimal
4 based on the vegetative cover that is,
5 at least, present on the Upper Terrace,
6 and any exposure that would occur,
7 whether it be maintenance workers or
8 trespassers, we would expect to be very
9 infrequent, very short in duration.

10 So, it's a concern; however, we
11 feel that this particular remedy, once
12 it's put in place, will address that,
13 effectively.

14 Another group that we would
15 consider at risk right now would be
16 construction and utility workers, those
17 involving subsurface excavations. Right
18 now, that is a concern. We would expect
19 if that occurred when this remedy does
20 go into design or into construction, I
21 should say, you'll see the workers will
22 be in protective clothing out there,
23 personal protective equipment will be
24 used and it's to protect their health.

25 One of the things that we'll also

Proceedings

1
2 make sure is in place is a community
3 health and safety plan. This is
4 something that we require of the D.E.C.
5 to have in all of their work plans for
6 investigations of these types of sites.

7 We also require a community health
8 and safety plan to be in place during
9 construction, and that has several
10 components to it, including an indoor
11 air-monitoring section where there are
12 requirements for monitoring, not only
13 for chemicals such as these volatile
14 chemicals - Benzene and Xylene, Toluene,
15 but also for particulates. We don't
16 want to see dust blowing off the site,
17 and we want to have mechanisms in place
18 to monitor for that. They set off
19 alarms when they do exceed certain
20 thresholds and then make sure that there
21 are provisions to either stop the
22 construction or provide some kind of
23 engineering controls to mitigate it.

24 So, that's something that we
25 require to be in place before any shovel

Proceedings

1 hits the dirt.

2 And that's about it, the long and
3 short of it here.

4 I just left the last thing here for
5 any questions, health-related type
6 questions that I might be able to
7 address while I'm here tonight, and, if
8 not, I will be around after the
9 presentation and I can either give you
10 my business card or you can shoot some
11 questions off at that point in time.
12

13 Sir.

14 MEMBER OF THE PUBLIC: You
15 mentioned water not being effected, the
16 community underground water, but there
17 was a big list of millions of dollars
18 they are going to be doing something
19 with the water. So, they are going to
20 be cleaning up the water even though
21 it's not effecting the community?

22 MR. OTTAWAY: Yup. It's a good
23 question. Did everybody hear that
24 question?

25 He mentioned that there's a

Proceedings

1
2 significant portion of the cleanup
3 proposed to clean up contaminated
4 groundwater on the site even though,
5 from a public health standpoint, it
6 doesn't really represent a concern, and
7 that's a valid point. As you can
8 imagine, there are, typically, two
9 components to a cleanup. It can either
10 be driven by environmental concerns or
11 it could be driven by public health
12 concerns, sometimes, by both.

13 In this case, even though the
14 groundwater isn't used for consumption,
15 it still represents an environmental
16 contamination concern and, under D.E.C.
17 law, it has to be addressed, and that's
18 why it's part of the remedy.

19 Yes, sir.

20 MEMBER OF THE PUBLIC: I'm just
21 curious. What is coal tar? What can
22 that do to you?

23 MR. OLM: Well, coal tar consists,
24 primarily, of these Polycyclic Aromatic
25 Hydrocarbons, PAHs. There are seven

Proceedings

1
2 PAHs that are known carcinogens, but,
3 from a standpoint of the community, what
4 does it represent? Right now, it
5 doesn't represent any health concern
6 because it's in the ground. You're not
7 contacting it. For any health effect to
8 occur, you have to have some contact
9 with that material.

10 So, we don't feel that there is any
11 risk of health effects or any exposure,
12 for that matter, to the surrounding
13 community, and, once construction does
14 commence, obviously, there's going to be
15 some short-term impacts to the
16 community. There will be noise.
17 There's going to be traffic. Short-term
18 impacts for long-term gains, hopefully,
19 and that's why we require that there be
20 a community health and safety plan in
21 place so that we can identify concerns
22 of the community in terms of truck
23 traffic, in terms of odors, in terms of
24 noise. We want to make sure there are
25 provisions in that health and safety

Proceedings

1
2 plan to address those concerns, and, you
3 know, we maintain our partnership with
4 the D.E.C. through the construction
5 phase and we can be contacted if there
6 is a concern in the community and we can
7 be contacted, project manager from the
8 D.E.C., and, you know, if there is a
9 problem, then let us rectify it.

10 Yes, ma'am.

11 MEMBER OF THE PUBLIC: I know that
12 the Department of Health, the State, has
13 done some surveys in the past in this
14 County about cancer. Have they done any
15 in that particular area or that street
16 or that neighborhood?

17 MR. OLM: I don't know the answer
18 to that. I can find out for you if you
19 give me your name and telephone number.
20 I don't know, off the top of my head, if
21 there have been any cancer incidence
22 studies done in this area or not.

23 MEMBER OF THE PUBLIC: That would
24 be good.

25 MR. OLM: I know, Statewide, there

Proceedings

1
2 has been a lot of investigation into
3 that, but I don't know if, by zip code,
4 there's anything. I mean I'm, probably,
5 going to have to get back to you.

6 MR. OTTAWAY: Yes, sir.

7 MEMBER OF THE PUBLIC: Yes. My
8 name is Bill Hodgson, H-O-D-G-S-O-N.
9 I'm Chairman of the Nyack Planning
10 Board, and my questions are -- question
11 are addressed at the future use of the
12 site, which, obviously, you can't have
13 investigated or it's an unknown to you,
14 but I have a general question and a
15 specific question.

16 My general question, given the
17 contamination of this site, are there
18 examples in which residential or
19 commercial use of this site has been
20 judged possible after this whole
21 remediation? Because, you know, just
22 think that's going to be quite the scare
23 when we're throwing around names like
24 carcinogenic polycyclic aromatic
25 hydrocarbons, and is this, although, it

Proceedings

1
2 might be said, but is it, in fact,
3 commercially, a possible thing to do?

4 And my second question is a subset
5 of that. Where you've solidified,
6 in-situ solidification, on the Lower
7 Terrace, does that Lower Terrace then
8 become excavatable for the construction
9 of buildings?

10 MR. OLM: I'll address the first
11 part of your question and I'll need Bill
12 to address the second part.

13 Obviously, future development,
14 that's the hope of all once this site is
15 remediated. We want to see it used. We
16 want to see -- but we want to see it
17 protected, too. And, obviously, the
18 gross contamination that exists there
19 today will have been removed if this
20 proposal moves forward.

21 Again, I'm getting back to the way
22 I explained to this gentleman about
23 exposure. There may be some residual
24 contamination that remains there.
25 Obviously, there's going to be a lot of

Proceedings

1
2 clean fill brought in, clean soil
3 brought in, so any residual
4 contamination will be covered by that.
5 There will be provisions. There will be
6 deed restrictions and institutional
7 controls in place to ensure that there's
8 a soil management plan, and a soil
9 management plan is developed and
10 designed so that if somebody has to
11 excavate into soil that may have
12 residual contamination that they are
13 aware of it, first of all, and for the
14 main purpose that they can protect
15 themselves, and that, usually, involves
16 utility workers.

17 The other thing is that we,
18 likely, will allow the construction of
19 buildings on the property, most of the
20 property may be under either a building
21 or pavement. That, in itself, serves as
22 a barrier, any residual contamination,
23 but we would, probably, have some
24 restrictions on green space usage. So,
25 if they did have an area that was not

Proceedings

1
2 paved or didn't have a building on it,
3 we wanted to ensure that there's no
4 digging past a certain depth. There may
5 be demarcation barriers placed beneath
6 clean fill so that if someone does dig,
7 can see that there's this orange snow
8 fence or some marker that will identify
9 don't dig any further or contact the
10 D.E.C. before digging further. That's,
11 typically, done in cases of where you
12 have residual contamination left behind.

13 One of the things that we wanted to
14 ensure is that there's going to be some
15 mechanism for addressing potential for
16 contaminated soil gas to migrate into
17 constructing buildings on the parcel,
18 and, as I mentioned, there are
19 engineering controls that can be
20 constructed and put into the
21 construction details that will address
22 that particular exposure.

23 There are systems similar to radon
24 mitigation systems, what we call
25 "subslab depressurization systems" that

Proceedings

1
2 can, effectively, pull any VOCs, organic
3 compounds, out and get rid of them in a
4 proper way so that these VOCs aren't
5 finding their way into cracks and
6 crevices and pipe chases and then going
7 into the basements or into the living
8 spaces where it could effect indoor air
9 quality.

10 Obviously, we can't give you a
11 picture of what the site is going to
12 look like following remediation because
13 that hasn't been worked out yet. We're
14 looking at the construction phase right
15 now.

16 Yes, ma'am.

17 I know he's been waiting.

18 MR. OTTAWAY: Actually, I'm going
19 to answer --

20 MR. OLM: Okay. I'm sorry.

21 MR. OTTAWAY: -- answer the second
22 half of his question first, then we're
23 going to get his question, then we're
24 going to get her question.

25 So, the second half of your

Proceedings

1
2 question, yes, you can do a construction
3 on material that's been solidified.

4 It's not like hardened concrete. It's a
5 much stronger material, but you can bore
6 through it with drilling rigs. So, you
7 would be able to bore through a place in
8 piles, if you were doing some sheet
9 pilings for foundations, that sort of
10 thing.

11 It would also have significant
12 bearing strength if you were doing a
13 slab-on-grade type of construction.

14 So, yes, you could do construction
15 on solidified material.

16 Your question?

17 MEMBER OF THE PUBLIC: My
18 question?

19 MR. OTTAWAY: Yeah. What --

20 MR. KNIPFING: Bill, his question
21 concerned, in the Lower Terrace, why
22 don't you just excavate the whole
23 thing?

24 MR. OTTAWAY: Right. And the
25 bottom line is that the solidification

Proceedings

1
2 meets the cleanup criteria as
3 effectively as digging it out. You're
4 left with a monolith that's not going to
5 contaminate the groundwater or --

6 MEMBER OF THE PUBLIC: Why are you
7 going to excavate that huge section up
8 above and leave that little section down
9 below to solidify? Why not do it all?

10 MR. OTTAWAY: The area is
11 misleading. The process of excavating
12 the Lower Terrace would be, in itself,
13 much more expensive, much more complex
14 than excavating the Upper Terrace. One
15 of the things that, just looking at it
16 from above, doesn't show you that the
17 bedrock is very shallow on the Upper
18 Terrace. Within 10 feet, you're hitting
19 bedrock.

20 So, you can excavate and there's no
21 groundwater up there. You can come in
22 there, one big backhoe, excavate all
23 that material very effectively, very
24 easy.

25 You go down into the Lower Terrace,

Proceedings

1
2 you're going to have to dig
3 significantly deeper - 20 feet, 25 feet,
4 in order to dig your way out of
5 contamination. You're also going to
6 have to be fighting all of the water of
7 the Hudson River while you're doing that
8 excavation. It's a much more expensive,
9 much more complicated process to do an
10 excavation on the Lower Terrace.

11 That having been said, we are going
12 to be doing some excavation to get out
13 the most heavily contaminated material
14 there at the drainage pits. That's
15 going to be a difficult, expensive thing
16 to do, but, for that very heavily
17 contaminated material, it's worth it.

18 For the less contaminated material,
19 the picture that I showed you from the
20 test pit, that is very amenable to this
21 process of in-situ solidification. As I
22 said, that process is going to give us a
23 very good remedy that is going to be
24 effective of public health and
25 environment.

1 Proceedings

2 So, that's why we're proposing
3 solidification for the Lower Terrace.

4 Does that answer your --

5 The woman in blue, yes.

6 MEMBER OF THE PUBLIC: Can you just
7 elaborate on your remedial goals for,
8 both, soils and groundwater? Maybe, you
9 can just explain to the audience how
10 what your TAGM numbers mean for soil?
11 Are they suitable for residential use
12 versus commercial use?

13 And, for the groundwater, what
14 numbers are you going to clean up to?
15 Is it going to be protective of surface
16 water criteria?

17 I understand you're going to defer
18 the Hudson River sediments to OU-2, but
19 what about the Hudson River surface
20 water?

21 MR. OTTAWAY: Okay. Boy, there's a
22 lot of questions in there.

23 I'm, actually, going to go back to
24 the question you had very early on
25 talking about the extent of the

Proceedings

1
2 groundwater remedy.

3 MEMBER OF THE PUBLIC: Okay.

4 MR. OTTAWAY: This is the slide I
5 was going to come back to. These are
6 the areas where we have shown
7 groundwater contamination in the
8 bedrock.

9 During the design phase, there will
10 be a design level investigation to
11 confirm that we found all of the
12 contamination and that our remedy
13 addresses all of the areas that are
14 contaminated.

15 MEMBER OF THE PUBLIC: Is that for
16 soil and groundwater?

17 MR. OTTAWAY: This is the
18 groundwater remedy.

19 MEMBER OF THE PUBLIC: Okay.

20 MR. OTTAWAY: As I said, remember,
21 I had that really funny slide where I
22 was trying to describe why it is that,
23 in this case, the ground, only a small
24 area within the contamination is
25 impacting groundwater. This is, you

Proceedings

1
2 know, those areas in the plan view where
3 we have the contamination getting down
4 into the bedrock contaminating
5 groundwater.

6 MEMBER OF THE PUBLIC: Since you're
7 on this slide, let me just hit on a
8 question I have about this.

9 MR. OTTAWAY: Uh-huh.

10 MEMBER OF THE PUBLIC: I know
11 you're trying to condense a lot of
12 information into one thing --

13 MR. OTTAWAY: Yeah.

14 MEMBER OF THE PUBLIC: -- but the
15 PAHs, some are carcinogenic, some are
16 not, and it's really tough to tell on
17 this figure, and I don't have the
18 benefit of reviewing the Remedial
19 Investigation --

20 MR. OTTAWAY: Right.

21 MEMBER OF THE PUBLIC: -- to
22 understand, you know, like, for example,
23 you know, I look at this map and I look
24 at High Avenue and Gedney, I know
25 there's a house there.

Proceedings

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. OTTAWAY: Right.

MEMBER OF THE PUBLIC: Is there groundwater contamination underneath that house?

MR. OTTAWAY: No.

MEMBER OF THE PUBLIC: Is there some contamination? Do they have to worry about vapor intrusion into their basement?

MR. OTTAWAY: We are doing -- we've done some investigation of the soil gas that shows us that we don't think there's going to be a problem over there. We are going to be doing some additional investigation this spring in order to confirm that, yes, we do not have a soil gas issue over there.

MEMBER OF THE PUBLIC: Does that include indoor air sampling?

MR. OTTAWAY: Typically, not. We don't like -- the chemicals of concern for the soil gas are the BTEX chemicals.

MEMBER OF THE PUBLIC: Right.

MR. OTTAWAY: They are somewhat

Proceedings

1
2 ubiquitous. If we go into someone's
3 house, we will find Benzene, Toluene,
4 Ethylbenzene and Xylene in their house.
5 If you have filled up your gas tank
6 lately, we're going to have really high
7 levels just from the vapors coming off
8 of your clothes, and --

9 MEMBER OF THE PUBLIC: But there
10 are guidelines on that, too.

11 MR. OTTAWAY: Yeah, but it's
12 complicated.

13 MEMBER OF THE PUBLIC: Yeah.

14 MR. OTTAWAY: The best measure to
15 find out whether there is an impact from
16 soil gas into a house is a subslab soil
17 gas sample. That would be a matter of
18 going into the house, drilling a hole
19 through the basement floor and
20 collecting a sample of soil gas through
21 there.

22 MEMBER OF THE PUBLIC: Uh-huh.

23 MR. OTTAWAY: Right now, what we're
24 proposing to do is doing some soil gas
25 samples along the street. If those come

Proceedings

1
2 back and show us that we do have
3 additional concerns, then we would
4 expand that investigation.

5 As I said, based on what we see so
6 far, we don't think we have a problem,
7 but we'll investigate that further.

8 In terms of the chemicals of the
9 groundwater contamination, the main
10 chemicals of concern for the groundwater
11 are the BTEX chemicals - Benzene,
12 Toluene. You can get some PAHs in the
13 groundwater. If you look through a
14 detailed investigation of remedial
15 investigation report, you will find some
16 PAHs; however, where you see the PAHs
17 you also see the BTEX compounds at
18 levels which are not more -- more highly
19 elevated above groundwater standards.

20 So, for the groundwater, if you
21 just look at those four compounds, the
22 BTEX compounds, that's the simplest way
23 to investigate what we have here in
24 terms of groundwater contamination.

25 MEMBER OF THE PUBLIC: But you're

Proceedings

1
2 also sampling for PAHs, as well?

3 MR. OTTAWAY: Yes, we sampled a
4 very extensive spread of chemicals. We
5 included sampling for metals. We
6 included sampling for organic chemicals
7 that we, typically, wouldn't see
8 associated with a manufactured gas line,
9 so.

10 MEMBER OF THE PUBLIC: How can you
11 be sure that there's not groundwater
12 contamination or soil contamination at
13 the High/Gedney Street intersection? Is
14 that going to be included in your future
15 investigation?

16 MR. OTTAWAY: Because we did --
17 actually, I'm going to pop back one
18 slide, and we have the -- fortunately,
19 the test pitting doesn't show here, and,
20 as I said, up in this area, we have
21 relatively shallow bedrock.

22 So, the test pitting is as
23 effective getting down -- actually, more
24 effective than the soil boring. What we
25 have here is a soil boring result, and

Proceedings

1
2 we had clean test pitting and soil
3 borings in this area, and that's why we
4 feel that we don't have any
5 contamination over here.

6 As we're doing an excavation, one
7 of the great things about excavation as
8 a remedy is you see what you -- you see
9 what you get. As we're digging, if we,
10 suddenly, find there's this narrow
11 little track of contamination wandering,
12 you know, here and there around this
13 area, we'll know about it. If we're
14 doing an in-situ remedy, we wouldn't see
15 that as we're working on it.

16 So that, again, that's one of the
17 advantages of the remedy in that Upper
18 Terrace. We will see if we have some
19 unexpected little fingers of
20 contamination going where we don't know
21 about it right now.

22 MR. KNIPPING: Bill, the
23 groundwater is going towards the river;
24 right?

25 MR. OTTAWAY: Yes, the groundwater

Proceedings

1
2 is going through here this way.

3 Groundwater is complicated in that
4 it's, actually, moving up through the
5 bedrock. Normally, you think of
6 groundwater going down.

7 In this case, the bedrock, the
8 water has an upward gradient through the
9 bedrock towards the bottom of the Hudson
10 River; however, the bottom of the Hudson
11 River is covered with relatively very
12 fine sediment. I'm not -- so, you don't
13 have a situation where there is a
14 wholesale release of contamination from
15 the bedrock fractures into the Hudson
16 River. You have the bedrock contacting
17 the fine sediments, slowly, making its
18 way through the sediments into the
19 Hudson River.

20 Obviously, there's a great volume
21 in the Hudson River. We don't see any
22 contamination of the surface water;
23 however, dilution is not an acceptable
24 way to address contamination. That's
25 why we're going and spending the money

Proceedings

1
2 to clean up the groundwater so that we
3 don't have that as a potential source
4 for contamination either into the Hudson
5 River or neighboring properties,
6 whatever. We eliminate that as a source
7 of groundwater contamination.

8 Okay.

9 MEMBER OF THE PUBLIC: What are
10 your remedial goals for groundwater?
11 Will it be protected? I meant I don't
12 know the surface water standards. Are
13 they more stringent than the groundwater
14 standards? Do you plan on mitigating
15 the groundwater standards or to surface
16 water standards? And I realize, with
17 the DNAPL, the coal tar, you may not be
18 able to choose either.

19 MR. OTTAWAY: Right. We would love
20 to be able to meet groundwater standards
21 on the site. I cannot guarantee that we
22 will. I think that one of the reasons
23 that I like the remedy that we've chosen
24 is it gives the best chance of meeting
25 groundwater criteria for this site. If

Proceedings

1
2 we do a good job with designing that
3 remedy, if we really do contact all the
4 contamination with the oxidizing
5 material, we could meet groundwater
6 criteria on the site. We're not going
7 to guarantee that. We are expecting to
8 have restrictions on the use of
9 groundwater at this site. We are going
10 to be monitoring the groundwater after
11 we're done with the remedy to see how
12 good a job we did on that cleanup.
13 Right now, we don't have any groundwater
14 -- the groundwater contamination is
15 limited at the site. As we move north,
16 south, east and west away from the area
17 where we have contaminated groundwater,
18 we don't have contaminated groundwater.

19 So, we have contaminated
20 groundwater in a confined area. We're
21 going to clean that up as best we can.
22 We're going to try to meet groundwater
23 standards. We may not. If we do not,
24 then we will have restrictions on the
25 use and we will continue to monitor it.

1 Proceedings

2 If we do, successfully, address all the
3 source areas, navel in the bedrock, over
4 time, the bacteria we talked about
5 earlier will continue to eliminate the
6 contaminants, particularly, the BTEX
7 compounds. So, the groundwater will
8 steadily improve with time, as well.

9 MEMBER OF THE PUBLIC: Will you,
10 too, address groundwater discharging to
11 surface water? Will you, actually,
12 sample?

13 MR. OTTAWAY: We don't have any
14 demonstration of groundwater discharging
15 to surface water. We don't have, like I
16 said, we don't have a direct -- a place
17 where we can go out and measure where
18 the groundwater is discharging to
19 surface water. It's moving, generally,
20 in that direction. So, we assume that,
21 essentially, ends up there, but we don't
22 have a situation where a concentrated
23 volume of contaminated water is entering
24 the Hudson River. We don't have a point
25 source of contamination that we could

Proceedings

1
2 monitor.

3 MEMBER OF THE PUBLIC: That's
4 because you've sampled and determined
5 that or is that a theoretical
6 assumption? I mean I realize --

7 MR. OTTAWAY: Do you want to add
8 anything or even correct me if I'm --

9 MR. COOLUM: It's a little bit of
10 both, of observation and I would say
11 it's more than theory.

12 As Bill mentioned, the marine
13 sediments in the river make a very
14 effective cap over the river bottom and
15 limit permeability. So, groundwater
16 moving off the upland coming from
17 Downtown Nyack, coming through the site,
18 we know it has to get to the river
19 somehow. If it's moving through the
20 subsurface and tries to come up into the
21 river bottom and hits the marine
22 sediments, that's not going to be a very
23 effective pathway.

24 So, the site model says the
25 near-shore zone where you have the

Proceedings

1
2 beach, the sandy material, and between
3 the high and low tide lines, just below
4 the low tide line, that's the most --
5 that's the gap that the groundwater can
6 really get through. It's, mostly, all
7 under water. You don't see it. At low
8 tide, you might see a little bit of
9 water coming out of the beach phase when
10 the tide is down, but, generally, it's
11 all making its way into the river below
12 the low tide line before you start to
13 get a thick accumulation of low
14 permeability sediments that just slow
15 that flow down.

16 MEMBER OF THE PUBLIC: I don't mean
17 to harp on the issue, but I work for the
18 Environmental Protection Agency and I
19 work on a number of sites along the
20 Hudson River and it's really big -- I
21 mean I think we have to understand that,
22 you know, a really important part of
23 this site is discharge into the Hudson
24 River. We have to look at cumulative
25 effects from all the sites along the

Proceedings

1
2 Hudson River that are discharging and,
3 yes, there might be low permeability
4 material that may -- I don't,
5 necessarily, think it's going to prevent
6 groundwater discharge to surface water.
7 I think that's an important thing to
8 look at. If you're going to defer to
9 the OU-2 portion, fine. That's why I'm
10 sort of harping what, are you going to
11 clean the groundwater to this site?

12 I know the DNAPL, it might be,
13 technically, impossible to, eventually,
14 clean up, very low standards. You know,
15 some of the carcinogens, in this case,
16 PAHs are down to .002 parts per
17 billion. That's extremely low. That's
18 a detection limit of any instrumentation
19 possible. So, I don't know. I think
20 that deferring to OU-2 is fine, but
21 something that, hopefully, you'll
22 revisit at that time.

23 MR. KNIPFING: Bill, could you,
24 briefly, restate that and summarize it?

25 MR. OTTAWAY: Yeah. First, I'm

Proceedings

1
2 going to restate and then I'm going to
3 have Bruce Coolum (phonetic) -- this is
4 Bruce Coolum. He represents REPACK, the
5 engineering firm Orange and Rockland
6 hired to perform the Remedial
7 Investigation and Feasibility Study.

8 The young lady was indicating that
9 one of her chief concerns is discharge
10 of contaminated groundwater into the
11 Hudson River and she requested that we
12 make a careful analysis and consider
13 that as we look at this remedy; is that
14 a good synopsis?

15 MEMBER OF THE PUBLIC: Thank you.
16 Yeah.

17 MR. OTTAWAY: And now I want to
18 check with Bruce to see if he has
19 something to add to that.

20 MR. COOLUM: Yeah. The groundwater
21 on the site is -- all of the remediation
22 consideration of on-site groundwater
23 isn't in OU-1, which is landward
24 remedy. The OU-2 only addresses
25 sediments, basically, everything from

Proceedings

1
2 the beach face, the high tide line out
3 towards the river. So, we won't be
4 looking at groundwater at that point.
5 We'll be looking at, basically, the end
6 result or anything moving off the site.
7 The groundwater - I think that it's
8 important that we say that the remedy
9 for OU-1 and all the sort of patchwork
10 of different remedies that we've put,
11 together, is intended to address all of
12 sources we find in all of the different
13 places and there are number of discreet
14 areas, discreet sources, because those
15 are what's, obviously, effecting the
16 groundwater.

17 The stuff, as Bill mentioned, that
18 we can't really get to really, easily,
19 is in the bedrock, and we are, actually,
20 going after some of that, too. There is
21 a point, though, we think where if we
22 don't know, you know, obviously, bedrock
23 just, you know, goes down, groundwater
24 keeps going down. If you drilled
25 100 feet below the site into the

Proceedings

1
2 bedrock, you would have groundwater, but
3 we're not going to go that far down
4 because whatever is happening down there
5 isn't effecting what's at the surface.
6 Things in the shallow zone where the
7 water table is located, that's the
8 primary focus because that's the stuff
9 coming through the beach. That's the
10 stuff coming into the river and that's
11 what's going to be addressed by the
12 remedy.

13 In a lot of places at the site
14 right now, as Bill mentioned, like in
15 the jetty area, we see a lot of soil
16 contamination, and the natural system is
17 already bringing those concentrations
18 way down. By removing the source and
19 then doing monitoring, we will -- we
20 expect -- the hope is we'll see by the
21 time that water reaching the river, the
22 combination of source removal and
23 natural bio cleanup will knock the stuff
24 out so we aren't discharging above the
25 surface water standards to the river

Proceedings

1
2 because, again, we don't want to use
3 dilution as the remedy. We want to
4 deliver water to the river that's
5 already, you know, at an acceptable
6 level, and, actually, we have not gone
7 out and, actually, measured water moving
8 into the river. You can't put a
9 monitoring well right on the beach
10 there.

11 MEMBER OF THE PUBLIC: But you can
12 use other devices to measure upwelling
13 into the river.

14 MR. COOLUM: Right.

15 MEMBER OF THE PUBLIC: You can
16 identify seeps at low tide.

17 MR. OTTAWAY: Let me just, briefly,
18 clarify one point.

19 The concept of the break between
20 OU-1 and OU-2, the break between OU-1
21 and OU-2 is, basically, defined by where
22 we stop solidifying. If there is
23 contamination right outside of the
24 solidified mass, that will have to be
25 addressed during OU-2. You know, we

Proceedings

1
2 have had preliminary discussions with
3 Orange and Rockland about, exactly,
4 where that line is going to be. Right
5 now, we're thinking it's, probably,
6 going to be at the high tide line, but,
7 as we look at questions like this, you
8 know, question of upwell, it may be
9 possible that it would make more sense
10 to include that inner tidal zone where
11 you would get migration of contaminated
12 groundwater in the solidification,
13 maybe, maybe not, but that's the sort of
14 -- you know, I mentioned, earlier, that
15 some of the questions that get asked
16 here are going to be answered in the
17 design process, and I think that your
18 question may end up being one of those
19 questions that is answered, partly, in
20 my response, but the bottom line is that
21 is something that we're going to have to
22 consider as we move forward with the
23 details of the design and with, exactly,
24 how we handle the interface between OU-1
25 and OU-2. So, I appreciate your

Proceedings

1
2 comments.

3 MEMBER OF THE PUBLIC: Thank you.
4 I mean it sounds like the surface water
5 sampling component will be included as
6 part of monitoring the effectiveness; is
7 that true? That's what I understand.

8 MR. COOLUM: There will be
9 groundwater monitoring, certainly, as
10 close to the river as practical.
11 There's been surface water sampling as
12 part of remediation.

13 MR. OTTAWAY: Even the groundwater
14 sampling, we can hypothesize why very
15 close to the nappe we see we have clean
16 groundwater. We can say that that's
17 because all of the contamination has
18 already been leached away. We can say
19 we have very high flow.

20 So, we have a dilution factor. I'm
21 not going to try to hypothesize why we
22 don't have contaminated groundwater in
23 the jetty area, but we don't, and I
24 think if we started looking at the
25 concentrations of contaminants that are

Proceedings

1
2 upwelling in that intertidal zone, I
3 think we, probably, see a similar story
4 there where just the volume of water
5 moving through that highly-permeable
6 material associated with the river would
7 give us diluted, you know,
8 concentrations, which, as we said,
9 repeatedly, dilution is not an
10 acceptable remedy for contamination.

11 MEMBER OF THE PUBLIC: And you have
12 not seen the coal tar globules?

13 MR. OTTAWAY: No. The coal tar
14 we've seen in the sediment has been
15 shallow. It appears to be surfacial
16 deposition.

17 When we've done the deeper course,
18 we haven't seen evidence of coal tar
19 migrating from the on-site DNAPL plume
20 and pushing its way into the off-site
21 sediment.

22 MEMBER OF THE PUBLIC: Okay. Thank
23 you.

24 ANOTHER MEMBER OF THE PUBLIC:
25 Question, you're talking about putting

1 Proceedings

2 in-situ, essentially, making this
3 impermeable barrier.

4 MR. OTTAWAY: Right.

5 MEMBER OF THE PUBLIC: Because it's
6 going to encapsulate, we have all this
7 water, bedrock coming down the hill and
8 you're going to excavate and it sounds
9 like we're going to have a big concrete
10 dam. What's going to keep that from
11 turning into a swamp behind this
12 concrete dam along the front right up to
13 the top and all the water coming down
14 from the bedrock?

15 MR. OTTAWAY: Right. Engineering
16 design is the simplistic answer to your
17 question. We don't have a large volume
18 of water flowing through the overburden
19 down to the Lower Terrace.

20 As we were talking about in the
21 Upper Terrace, we don't have any
22 groundwater above bedrock.

23 So, what we have is water running,
24 coming from the bedrock up. So, you
25 know, shift the image, slightly, to have

Proceedings

1
2 groundwater coming, you know, water
3 coming up from the bedrock and coming
4 onto this monolith, but one way to
5 picture this is step back, take a larger
6 view and it's sort of like one peg being
7 stuck in a 5 or 30-mile long stretch of
8 water flowing towards the Hudson River.
9 You will get water flowing around the
10 one peg stuck down sitting on top of
11 bedrock. You are going to have to,
12 carefully, take into consideration what
13 effects you have on the edge of that
14 monolith are, but, overall, it's not
15 going to have effect, regionally, on
16 groundwater flow. It's not a large area
17 when you start looking at regional
18 groundwater flows, but it is something
19 we're going to have to, carefully,
20 consider during design. It is something
21 Orange and Rockland's engineers did
22 identify as a technical concern with
23 this remedy. That will have to be
24 addressed.

25 MR. QUINN: My name is Kieran

Proceedings

1
2 Quinn, K-I-E-R-A-N Q-U-I-N-N, and I
3 served on the Village Board when the
4 Local Waterfront Revitalization Plan was
5 enacted and, in that waterfront, which
6 is an overlay to the zoning, and, in
7 that overlay, there are incentives for a
8 riverfront walk. I will submit written
9 comments that talk about that riverfront
10 walk, the preservation of those options
11 when the solidification is taking
12 place.

13 Similarly, the Village is,
14 currently, engaged in a Comprehensive
15 Plan, but it's clear that that
16 Comprehensive Plan envisions that
17 riverfront walk and will include
18 references to that and the desire of the
19 community to maintain that option for a
20 riverfront walk on that site.

21 MR. OTTAWAY: Okay. At this point,
22 I don't see anything in the remedy which
23 would preclude that and that will be
24 something that, you know, will have to
25 be discussed as part of the planning for

1 Proceedings

2 the future use for the site.

3 Any other questions?

4 MEMBER OF THE PUBLIC: I have a
5 question. How significant in the risk
6 of public health from the excavation?
7 Who, actually, monitors the health
8 effects on the excavation and how often
9 is the monitoring done?

10 MR. OTTAWAY: The monitoring would
11 be continuous. There will be a
12 community -- I should defer to our
13 Department of Health.

14 MR. OLM: That's okay. You were
15 doing a great job, Bill.

16 As I mentioned, earlier, there was
17 a community health and safety plan in
18 place. During the investigation stage
19 when they were doing test pits and
20 installing monitoring wells, soil
21 borings, they were doing that while it
22 was monitoring ongoing, both, for
23 volatile organic compounds and, also,
24 for particulates and they put up
25 monitoring stations, usually, several on

Proceedings

1
2 this site, based on the prevailing wind
3 direction that would dictate where
4 they're put, and these monitors will,
5 you know, they do have levels that we
6 consider protective and if they exceed
7 these levels, they, typically, have an
8 alarm that will sound off and, when that
9 occurs, there's a contingency plan in
10 the health and safety plan in the
11 community air-monitoring plan that
12 requires them to stop the work,
13 determine what's causing the problem,
14 and, sometimes, they can just control it
15 by digging slower or not digging in that
16 contaminated area all at once.
17 Sometimes, they can control it by
18 engineering controls such as foam, but
19 there are ways that you can minimize the
20 odors and the dust particulates, and
21 that's all addressed in the health and
22 safety plan and will be addressed in the
23 health and safety plan that is required
24 to be developed and implemented during
25 the construction phase, and, you know,

1 Proceedings

2 we are still on-call, so to speak, when
3 construction is ongoing and if the
4 community sees something they see
5 consider strange or awry, they can
6 contact me and my intern will follow
7 up.

8 MR. OTTAWAY: I would like to add
9 to that that Orange and Rockland at this
10 time is going to use a temporary
11 structure over the excavation that would
12 have an air-handling and air-treatment
13 facility. So, under a negative
14 pressure, any negative vapors coming
15 from the excavation, that air would be
16 routed through carbon filters and then
17 the discharge has to meet certain
18 discharge criteria.

19 So, you know, that is the most
20 effective way to deal with that concern
21 of, you know, what is the potential for
22 dust and vapors.

23 One other thing that has to get
24 mentioned is the odor threshold on some
25 of the chemicals we're looking at are

1 Proceedings

2 very low. The less technical way to say
3 that is coal tar really stinks and it
4 really stinks at really low levels. If
5 you smell coal tar, that doesn't
6 necessarily mean we're going to have -
7 we have a dangerous level of vapors in
8 the air.

9 The temporary structure is the best
10 way to address nuisance odors, as well.
11 Orange and Rockland is going to make an
12 effort to address nuisance odors in
13 addition to the, you know, the vapors
14 which would be vapors and dust which
15 would be a health concern and that's one
16 of the reason why, right now, they're
17 looking and they're anticipating using
18 the temporary structure for this
19 operation.

20 MEMBER OF THE PUBLIC: Could you
21 state again at what point will the work
22 begin, do you anticipate, and how long
23 do you anticipate it will go for?

24 MR. OTTAWAY: Maybe, I will refer
25 that question to -- let me introduce

1 Proceedings

2 Marybeth McCormick from Orange and
3 Rockland Utilities.

4 The question is: When would you
5 anticipate remedial action taking place
6 and how long would that process take?

7 MS. MCCORMICK: Well, based on the
8 schedule that we're discussing, we're
9 looking at, possibly, 12 to 16 months of
10 design. We would be looking at the
11 first construction season being the
12 winter of 2005. We're anticipating
13 private taking of four years to
14 complete. We are saying construction
15 seasons. That would be the time this
16 work would be staged. Upper Terrace
17 done at one point in time, the Lower
18 Terrace at another because, obviously,
19 from a site standpoint, you would have
20 to coordinate those activities since
21 different actions would be occurring.

22 So, overall, we're looking at a
23 time frame that would take us, probably,
24 through 2008 to be complete, you know,
25 going -- you know, marking it out in

Proceedings

1
2 actual time.

3 Now, again, the fine details of
4 that would be worked out in design, but,
5 as we structured it now in coordinating
6 these activities and how long we
7 anticipate those particular actions will
8 take, that's about the time frame we'll
9 be looking at.

10 And, while I'm standing, I was
11 trying to raise my hand before, just to
12 address your question about the
13 monitoring, something that we did when
14 we were in Haverstraw, the site that
15 Bill mentioned, briefly, where we've
16 done excavation work, we did that right
17 in the middle of a residential
18 neighborhood and, literally, in people's
19 backyard and put the structure up. It
20 was effective in controlling odors and
21 the particles, but we also used
22 state-of-the-art, first time used in the
23 State, a state-of-the-art air-monitoring
24 system. It's a perimeter air-monitoring
25 system. It's the neatest little unit,

Proceedings

1
2 an air conditioner/heater. It runs
3 under proper conditions. It's all
4 radiotelemetry to compute. That's the
5 monitor. We're monitoring the perimeter
6 of this site 24 hours a day, seven days
7 a week.

8 Similarly, as Bill and John were
9 alluding, there were alarms set with
10 that. If it was after-hours, there was
11 a paging system set in place. Again,
12 generally, the most likely time you're
13 going to have a problem would be when
14 you're going to be working so you would
15 be there and people present to address
16 it, but, also, accounted for off
17 issues. Should the air-handling system
18 fail or shut down, you would have the
19 monitoring system that would alert you
20 something needed to be done, but the
21 structure, itself, is effective and we
22 would intend to use this same type of
23 perimeter air-monitoring system around
24 this site as we were working, as well.

25 MR. OTTAWAY: The gentleman in the

Proceedings

red.

MEMBER OF THE PUBLIC: Yeah. I hate to throw rocks on something, but supposing we decided to let sleeping hydrocarbons lie, apropos of Kieran Quinn, our former Mayor, served on the committee, supposing the people in the area decided we wanted to keep that wonderful idea of the concept of open space, there are private property interests involved and we assured that open space would be, you know, benefitted by easements insofar as the type of construction that could be on it, from the viewpoint of the Department of Health, would there be any -- would the State have any objection if we decided -- I don't know how much, how many millions of dollars Orange and Rockland is going to spend on this, not that I mind Orange and Rockland spending millions of dollars, but if we're talking about keeping that as open space, the type of construction we put

1 Proceedings

2 down there would be low impact, as the
3 Mayor talked about a plan to have a
4 riverwalk along the edge of the river
5 there, would that be acceptable to the
6 Department of Health?

7 MR. OTTAWAY: If it, effectively,
8 addresses potential exposure to the
9 community, that's really what we're
10 looking at, and if you don't have
11 structures on the property, that sort of
12 makes it moot, the need for engineering
13 controls to address potential vapor
14 issues. It sort of makes moot
15 management plans for certain types of
16 future land use.

17 So, I mean it could have a positive
18 effect. It may not have any effect on
19 what it all means as far as public
20 health. I mean I think the bottom line
21 is what is the -- what shape it is going
22 to be left in following the cleanup?
23 It's not going to be pristine. There's
24 going to be some residual contamination,
25 but that can be managed and can be

1 Proceedings

2 managed, quite effectively.

3 So, it all depends on how the land
4 is, you know, developed in the future,
5 and we have to consider those potential
6 future land uses and will consider
7 those.

8 Let me just follow up that I have a
9 site in Western New York where the term
10 "coal tar" is a bit misleading,
11 particularly, when created during using
12 the carbonated water gas process. This
13 is not tar like you would put on your
14 roof or on your driveway. This is
15 liquid, about the consistency of canola
16 oil, very liquid.

17 I have a site in Western New York
18 where a property some distance from the
19 manufactured gas plant decided to put in
20 a basement. When they put in that
21 basement, the coal tar that had been
22 sitting very nicely not bothering
23 anybody back on the site up and decided
24 to move 150 feet into their basement.
25 Coal tar was, originally, 18 feet down

1 Proceedings

2 and got into their basement, which is
3 only 6 feet down by their drain system
4 drawing groundwater in, pulling the coal
5 tar with it.

6 We have other examples where
7 vibrations of sheet piling cause coal
8 tar was very comfortably sitting still
9 to up and start moving. We don't like
10 the idea of this coal tar, which is
11 highly mobile, sitting there in a
12 constipated area ready to start moving
13 off in some unknown direction,
14 particularly, into the Hudson River,
15 which would be the most likely direction
16 for it to get up and start moving.

17 So, that's one of the reasons that,
18 when we look at a site like this, source
19 removal is a real priority for us. We
20 want to get rid of that mass of
21 contamination so that, regardless
22 whatever else happens, we've eliminated
23 the bulk of the chemical problem that we
24 have there for that.

25 Yes.

Proceedings

1
2 MEMBER OF THE PUBLIC: Yes. I
3 regret that I missed the earlier part of
4 your presentation. So, I don't know
5 whether you started out saying what kind
6 of building you contemplate on this or
7 what your remediation is going to go
8 to?

9 In other words, I suppose you're
10 having an open structure and park or
11 something or a parking garage that was
12 open or something, or a boat landing,
13 you might have, you know, you would go
14 to a certain level of remediation and
15 then if you were going to have
16 apartments or, let's say, an office
17 where people were going to be eight
18 hours a day, you would do something else
19 if you had dwellings where people were
20 going to live for 24 hours --

21 MR. OTTAWAY: Right.

22 MEMBER OF THE PUBLIC: -- and
23 children and pets be exposed to the land
24 down from up above. To what level are
25 you contemplating this remediation?

Proceedings

1
2 MR. OTTAWAY: We wouldn't be
3 anticipating any restriction on use of
4 this property with the exception of
5 appropriate institutional controls.

6 So, even if we are not anticipating
7 any soil gas problems, we put a barrier
8 there just to make sure that we couldn't
9 possibly have any soil gas issues for
10 the on-site building, but we would
11 anticipate residential use of the
12 property being permitted in the future.

13 MEMBER OF THE PUBLIC: With grassed
14 areas or not?

15 MR. OTTAWAY: Yes.

16 MEMBER OF THE PUBLIC: With grass?

17 MR. OTTAWAY: There would be a site
18 management plan. Actually, let me --
19 it's spelled out in the PRAP. Let me
20 try to remember, exactly, what is
21 spelled out because this is new for us.
22 With the reauthorization of the Super
23 Fund Legislation, we have a slightly
24 different process. There will be an
25 environmental easement established.

1 Proceedings

2 That environmental easement will require
3 that the site management plan is
4 followed for this property. The site
5 management plan will require that the
6 entire site is - that, for the entire
7 site, there is an appropriate cover -
8 for the entire site. That cover could
9 be buildings, could be two feet of clean
10 fill with vegetative cover, it could be
11 pavement, but one of those effective
12 barriers will be in place across the
13 entire site, so.

14 Yes.

15 MEMBER OF THE PUBLIC: I just
16 wanted to follow up on Mr. Millson's
17 question. If there were going to be
18 some economic use of this site or
19 development of some sort, is it fair to
20 say that you would not have to do this?

21 MR. OTTAWAY: No, not fair to say.
22 This is contamination, which is,
23 currently, even at low levels, at some
24 level, this is effecting the Hudson
25 River. This is contamination which is

1 Proceedings

2 contaminating the groundwater which is a
3 resource of the State. It's something
4 that, you know, we don't want to see
5 groundwater contaminated, and, as I said
6 before, it's contamination which we
7 don't have a control over right now.

8 Do you have anything to add to
9 that?

10 This is George Harris, my immediate
11 supervisor with the D.E.C.

12 MR. HARRIS: No. Actually, I
13 don't. That pretty much addresses the
14 issue.

15 MEMBER OF THE PUBLIC: It, as I'm
16 listening, it sounds like if you didn't
17 disturb it, it's really not a problem.

18 MR. HARRIS: One way you can think
19 of this drum of contamination might be
20 contained in the long run, but a drum
21 that has chemicals hazard to the public
22 health or environment, we don't want to
23 leave it someplace where it possesses
24 risk.

25 It's, currently, effecting the

Proceedings

1 Hudson River, which is a really
2 important resource in that area. We
3 need to restore as much as we can. The
4 Hudson River - it may not be upwelling
5 or think it's not upwelling the river,
6 but the sediments are contaminated
7 either from runoff from the site -- but
8 it's there and needs to be addressed.
9

10 There are people fishing off that
11 site, there are teenagers who use that
12 site at night, there are trespassers all
13 being effected by the contamination
14 right now.

15 MEMBER OF THE PUBLIC: I have a
16 question about the process. Who
17 initiated this project?

18 MR. OTTAWAY: This project was
19 initiated by Orange and Rockland
20 entering into a Consent Order with the
21 New York State D.E.C. to investigate and
22 remediate all of their manufactured gas
23 plant sites throughout their service
24 area.

25 MEMBER OF THE PUBLIC: And define a

Proceedings

1
2 consent order.

3 MR. OTTAWAY: A legally-binding
4 document.

5 MEMBER OF THE PUBLIC: Who
6 initiates that? Does D.E.C.?

7 MR. OTTAWAY: Yes.
8 Marybeth.

9 MS. McCORMICK: I'll -- cause Bill
10 came in after the fact. Actually, in
11 '96, the State formed a program in
12 place. We signed the consent, the
13 initial consent order, in 1996. The
14 order for this wasn't signed until 1999,
15 but, in 1996, the State was, I guess,
16 approaching various utilities. We were
17 asked to identify properties,
18 manufactured gas plant sites, and there
19 was an agreement we would go in and
20 investigate these sites and if we found
21 contamination, we would address it.

22 So, the process started in '96.
23 We've been investigating various
24 locations. Orange and Rockland has
25 identified seven MGP sites within our

1 Proceedings

2 service territory. Three of them are in
3 Orange County, four of them are here in
4 Rockland. There are two sites in
5 Haverstraw, there's the Nyack site, the
6 Gedney site, and we have a site in
7 Suffern and then two sites in Middletown
8 and a site in Port Jervis, and they are
9 in various stages of investigation with
10 exception of the small Haverstraw site
11 where we're just about complete with our
12 remediation.

13 MEMBER OF THE PUBLIC: I promise
14 only one more questions.

15 Usually, with in-situ oxidation,
16 you control vapors --

17 MR. OTTAWAY: Right.

18 MEMBER OF THE PUBLIC: -- that
19 might be created.

20 MR. OTTAWAY: Uh-huh.

21 MEMBER OF THE PUBLIC: Do you have
22 a plan - I know it's down the road - so
23 the community understands there might be
24 a truck or on-site that's extracting
25 vapors from the subsurface or a

Proceedings

1
2 subsurface vapor collection system, you
3 know, that, obviously, control any
4 off-gassing? Would that be something
5 that would be addressed during the
6 design phase? Because if you have an
7 apartment building, then you have this,
8 you know, it's not necessarily
9 compatible with a residential
10 development.

11 MR. OTTAWAY: Well, except you
12 think about what an SVE system looks
13 like. We have a relatively small area
14 we're looking at for the chemical
15 oxidation and, you know, we could have
16 some vapor collection. Obviously, we're
17 not even starting the design phase yet,
18 but I think if we did have to go to a
19 vapor collection system, we could do
20 that in a relatively unobtrusive way,
21 so.

22 MEMBER OF THE PUBLIC: How do you
23 set the southern boundary on this? I
24 notice there's one test place where you
25 have PAHs of 100 to 500 parts per

1 Proceedings

2 million into even in the remediation
3 site.

4 MR. OTTAWAY: We will be doing a
5 design level investigation and looking
6 to see where else we have any coal tar
7 down here. Where we have these, I
8 believe --

9 MEMBER OF THE PUBLIC: The one by
10 the letter K right there, right, is
11 outside the remediation area and, yet,
12 it's 150 parts per million.

13 MR. OTTAWAY: Right, and that's,
14 generally, if we see contamination,
15 which does not have -- we don't see any
16 visual evidence of coal tar and the PAHs
17 are less than 500, and that
18 contamination is at depth that would not
19 present any risk of creating ongoing
20 groundwater and contamination or any
21 risk of mobility.

22 One of the key things that we've
23 talked about in terms of why can't we
24 just leave this here is the mobility of
25 the contamination. If we have actual

Proceedings

1
2 coal tar product somewhere, visual sign
3 of coal tar, we want to get rid of that
4 because we look at that and say this is
5 something that can get up and move. If
6 we have a situation where we don't have
7 any coal tar but we have something that
8 has somewhat elevated PAHs, the soil, we
9 would expect that, for a time, we would
10 get some leaching, particularly, of the
11 BTEX components from this soil. We
12 would monitor the groundwater to make
13 sure that that process, that attenuation
14 of that contamination proceeds,
15 appropriately, but that wouldn't be
16 something that we would go out and dig
17 13 feet down to get some mildly
18 contaminated soil, down 13 feet, and
19 that's what we're looking at with that
20 particular point.

21 The elevated levels - I don't
22 remember whether they were 100 or 400,
23 but that was a sample taken about
24 13 feet down. You have clean soil above
25 it. And we made the decision that that

Proceedings

1
2 really doesn't represent a source area,
3 doesn't represent an area that we're
4 going to be going after right now.

5 MR. KNIPPING: Bill, isn't it true
6 - I have done other sites along the
7 Hudson - almost anywhere along the
8 Hudson if you go into the ground, you're
9 going to come up with PAHs? Because
10 PAHs were fill, ash, especially, coal
11 ash. All the fill that was put on the
12 Hudson along either side was fill, had
13 PAHs, and, I'm sorry, I'm a history
14 major, but I learned what PAHs are.
15 It's over 100 different compounds. The
16 result of incomplete combustion of
17 organic material. So, your fireplace,
18 your ashes, PAHs.

19 So, it's ubiquitous in industrial
20 areas where they've created fill. So,
21 you can, probably, find it anywhere
22 along the Hudson.

23 MEMBER OF THE PUBLIC: When is the
24 next time the public can have input?
25 When are we invited to take another look

Proceedings

1
2 at this site? I'm not sure of your
3 process.

4 MR. OTTAWAY: So, this is the
5 Proposed Remedial Action Plan. We're
6 inviting comments on this. This is sort
7 of the framework for how we're going to
8 go forward and look at the design
9 process. The design will also be
10 released for public comment and we will
11 be holding a meeting during the design
12 process, too. I don't know if we'll
13 have a number of meetings during the
14 design process or whether it will be a
15 single meeting. We'll have to work
16 through the details of that citizen
17 participation process as we move
18 forward, but we, certainly, once, you
19 know, we have collected the comments we
20 have here, plus any written comments,
21 we'll put that together in a Responsive
22 Summary which will be a section of the
23 Record of Decision which we would expect
24 to be releasing in April. Then, we
25 would move forward into the design

1 Proceedings

2 process, and, as I said, we would have a
3 citizen participation program during the
4 design process, as well.

5 MR. KNIPFING: Bill, do you
6 anticipate having -- when should you be
7 doing the OU-2 work? After all this or
8 during?

9 MR. OTTAWAY: No.

10 MR. KNIPFING: So, another meeting
11 on the OU-2 findings, perhaps?

12 MR. OTTAWAY: Right. That's a very
13 interesting question.

14 MR. KNIPFING: I asked.

15 MR. OTTAWAY: Orange and Rockland
16 had a very detailed report into our
17 office for a while. It's the ball is in
18 our court regarding the Remedial
19 Investigation of OU-2. I don't see any
20 reason why that the Remedial
21 Investigation Report couldn't be
22 approved sometime this year, move into
23 the Feasibility Study and, in relatively
24 short order, we could get PRAP and ROD
25 on that, I don't know, but then we are

1 Proceedings

2 -- we put that into the remedial action
3 side of things and we would have to
4 coordinate that work with all the other
5 work we're doing on our site.

6 As Marybeth indicated, earlier,
7 it's going to be a major project and we
8 would have to, you know, coordinate any
9 work we did in the Hudson River with all
10 that other work.

11 Did you want to add anything to
12 that or --

13 MS. McCORMICK: You're looking at
14 me?

15 MR. OTTAWAY: Yes.

16 MS. McCORMICK: May just want to
17 add, in addressing OU-2, as we go
18 forward with the design in OU-1, we're
19 going to be looking, as Bill alluded,
20 earlier, is there any benefit or reason
21 to include, potentially, some treatment
22 of the close-shore sediments or what
23 have you in the solidification?

24 So, we're going to look at OU-2 in
25 the context of (a) contaminants and what

1 Proceedings

2 we need to do and what are we doing on
3 OU-1 that should eliminate a lot of
4 impacts that may, currently, be
5 existing, and (b) what would be the next
6 step, logically?

7 So, you're going to have to walk
8 both of them, together.

9 MR. KNIPFING: Yeah, that's what I
10 thought.

11 MEMBER OF THE PUBLIC: I apologize,
12 but what part is the Hudson Vista
13 Associate's property? Where is that?

14 MR. OTTAWAY: Right there. So,
15 here is the Hudson River, here is the
16 jetty area that spins out and there's a
17 parking lot right here.

18 MEMBER OF THE PUBLIC: Yeah.

19 MR. OTTAWAY: And it's this little
20 section right here.

21 And, up here, the Hudson Vista
22 Associates portion of the site is this
23 area right in here.

24 MEMBER OF THE PUBLIC: Again, I
25 would appreciate clarification with

1 Proceedings

2 regard to existing environmental
3 concerns as the property exists now. I
4 understand that if you touch the soil or
5 you're trespassing, that's a problem.
6 Environmentally, is there a concern
7 now?

8 MR. OTTAWAY: Yes, there is.

9 While difficult to measure, we do,
10 certainly, have some volume of
11 contamination going into the Hudson
12 River. So, it's just one of a number of
13 sources of contamination of the Hudson
14 River in this area and we have to
15 address each one of those as we go. We
16 do, and, as we mentioned, also, we do
17 have contaminated groundwater and we
18 have the soil which is, you know,
19 contaminated. We don't want to have any
20 contaminated media. Obviously, if we
21 had a perfect world, we wouldn't have
22 any contamination.

23 What we're doing right now is when
24 -- so, Mike, earlier, mentioned that
25 these polycyclic aromatic hydrocarbons

Proceedings

1
2 are ubiquitous, they come out of your
3 car's exhaust, they come out of your
4 chimney when you run your heating
5 system, they come out of your, you know,
6 the wood you burn, everything, but
7 that's at relatively low levels. Once
8 we get contamination that is so
9 significant that it reaches the status
10 of hazardous waste, that's when the
11 switch flips and we have to do something
12 about it.

13 We're not going after every little
14 piece of contamination up and down, you
15 know, the Hudson River or across the
16 State. We're going after the most
17 significant contamination, the
18 contamination that meets that fairly
19 high hurdle of being classified as
20 hazardous waste.

21 So, I think that's -- okay.

22 MR. KNIPFING: I just wanted to
23 remind everybody if you did not sign in,
24 please sign out. It's very important if
25 you didn't get a Fact Sheet from us, we

1 Proceedings

2 have your name and address so we can
3 make sure you're on our mailing list.
4 It sounds like we'll be pen-pals for
5 quite a few years, and the comment
6 period ends on March 12th. If you have
7 any comments between now and then,
8 please submit them to Bill Ottaway. The
9 name is in the Fact Sheet.

10 MEMBER OF THE PUBLIC: Can we
11 submit them via E-mail?


12 MR. OTTAWAY: Yes, and my E-mail
13 address is on the handout and I believe
14 it's on the Fact Sheet, as well.

15 MR. KNIPFING: Good-night,
16 everybody.

17 MR. OTTAWAY: Thank you, everybody,
18 for coming out and putting up with our
19 presentation.
20
21
22
23
24
25

Proceedings

THE FOREGOING IS CERTIFIED to
be a true and correct transcription of
the original stenographic minutes to the
best of my ability.



Kathryn Lebeau

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

